

RÉGIE DE L'ÉNERGIE

DEMANDE DU TRANSPORTEUR RELATIVE À LA
POLITIQUE D'AJOUTS AU RÉSEAU DE TRANSPORT

DOSSIER : R-3888-2014

RÉGISSEURS : Me LISE DUQUETTE, présidente
M. LAURENT PILOTTO
Mme LOUISE PELLETIER

AUDIENCE DU 6 FÉVRIER 2015

VOLUME 6

CLAUDE MORIN
Sténographe officiel

COMPARUTIONS

Me LOUIS LEGAULT
procureur de la Régie;

DEMANDERESSE :

Me ÉRIC DUNBERRY
Me MARIE-CHRISTINE HIVON
procureurs de Hydro-Québec Transport (HQT);

INTERVENANTS :

Me STÉPHANIE LUSSIER
procureure de Association coopérative d'économie
familiale de l'Outaouais (ACEFO);

Me PIERRE PELLETIER
procureur de Association québécoise des
consommateurs industriels d'électricité et Conseil
de l'industrie forestière du Québec (AQCIE-CIFQ);

Me PAULE HAMELIN
Me MARY-PIER MARCHETERRE
procureures de Énergie Brookfield Marketing S.E.C.
(EBM);

Me STEVE CADRIN
procureur de Fédération canadienne de l'entreprise
indépendante (section Québec) (FCEI);

Me ANDRÉ TURMEL
Me ÉMILIE BUNDOCK
procureurs de Newfoundland and Labrador Hydro
(NLH);

Me HÉLÈNE SICARD
procureure de Union des consommateurs (UC).

TABLE DES MATIERES

	PAGE
LISTE DES ENGAGEMENTS	4
LISTE DES PIÈCES	5
PRÉLIMINAIRES	6
LUC BOULANGER	
PIERRE VÉZINA	
PASCAL CORMIER	
ROBERT D. KNECHT	
CONTRE-INTERROGÉS PAR Me HÉLÈNE SICARD	8
CONTRE-INTERROGÉS PAR Me ÉRIC DUNBERRY	10
INTERROGÉS PAR Me LOUIS LEGAULT	176
EXAMINED BY THE BOARD	193

R-3888-2014
6 février 2015

- 4 -

LISTE DES ENGAGEMENTS

PAGE

E-4 (AQCIE-CIFQ) Vérifier les données contenues au
tableau B-0058 et de nous faire
part de l'existence d'erreurs
dans les données contenues au
tableau (demandé par HQT)

149

LISTE DES PIÈCES

	<u>PAGE</u>
B-0055 : Combined impact of a « 40 year » « flat-rate » calculation of the Maximum Allowance	138
B-0056 : Los Angeles Times - States are dealt blow on power	139
B-0057 : Décision de la Cour suprême des États-Unis du 26 juin 2008	139
B-0058 : Tableau comparatif relatif à la question 3.1 de la première demande de renseignements de la Régie à l'AQCIE-CIFQ	139

1 L'AN DEUX MILLE QUINZE, ce sixième (6e) jour du
2 mois de février :

3
4 PRÉLIMINAIRES

5
6 LA GREFFIÈRE :

7 Protocole d'ouverture. Audience du six (6) février
8 deux mille quinze (2015). Dossier R-3888-2014 -
9 Audience concernant la demande du Transporteur
10 relative à la politique d'ajouts au réseau de
11 transport. Poursuite de l'audience. Aussi auriez-
12 vous l'obligeance de vous assurer que votre
13 cellulaire est fermé durant la tenue de la
14 rencontre préparatoire. Merci.

15 LA PRÉSIDENTE :

16 Peut-être juste avant de commencer. Maître
17 Dunberry, l'engagement numéro 3, avez-vous d'autres
18 nouvelles ou c'est encore en cours de préparation?

19 Me ÉRIC DUNBERRY :

20 C'est toujours en cours de préparation, Madame la
21 Présidente. J'aurai probablement des résultats un
22 peu plus définitifs à la pause de ce matin.

23 LA PRÉSIDENTE :

24 Je vous remercie beaucoup. Maître Pelletier, c'est
25 à vous. En fait, c'est à maître Hamelin... Venez au

1 micro s'il vous plaît.

2 Me MARY-PIER MARCHETERRE :

3 Bonjour. Mary-Pier Marcheterre, Gowling Lafleur
4 Henderson pour Énergie Brookfield Marketing en
5 l'absence de maître Hamelin ce matin. On n'aura pas
6 de questions.

7 LA PRÉSIDENTE :

8 Je vous remercie beaucoup.

9 Me MARY-PIER MARCHETERRE :

10 Merci. Bonne journée.

11 LA PRÉSIDENTE :

12 Le prochain sur la liste était maître Cadrin pour
13 la FCEI. Je ne le vois pas. Il ne sera pas là. Et
14 puis ensuite, Maître Turmel, je vous vois faire un
15 signe non de la tête, pas de questions. Et puis
16 donc, Maître Sicard, je vous vois debout. Alors, je
17 crois que vous avez quelques questions. Allez-y!

18

19 L'an deux mille quinze (2015), ce sixième (6e) jour
20 du mois de février, ONT COMPARU :

21

22 LUC BOULANGER,

23 PIERRE VÉZINA,

24 PASCAL CORMIER,

25 ROBERT D. KNECHT,

1

2 LESQUELS témoignent sous la même affirmation
3 solennelle :

4

5 CONTRE-INTERROGÉS PAR Me HÉLÈNE SICARD :

6 Q. [1] Bonjour. Hélène Sicard pour l'Union des
7 consommateurs. Monsieur Knecht, I have a little
8 question for your precision, if you take your
9 presentation, it's at the last page, where are the
10 bullets are presented as to your recommendations.

11 (9 h 06)

12 Dr. ROBERT D. KNECHT :

13 A. Yes.

14 Q. [2] Okay. I see, on your second recommendation, you
15 identified that it concerns native load and point-
16 to-point customers. On your fourth one, you say,
17 Customer contribution requirements
18 should be established on a project by
19 project basis, rather than broadly
20 aggregated across a wide array of
21 projects and time.

22 When you say "customer" here, do you have, do you
23 mean point-to-point and native load, or do you mean
24 only one of them, and then which one?

25 A. Again, I think this issue goes to trying to

1 establish reasonably comparable policies between
2 native load and point-to-point customers. I think
3 the general answer to your question is that, given
4 the existing policies of the Régie, that
5 contribution requirements, contributions are
6 required from native load, you need to try to
7 establish some reasonable framework in which you
8 treat point-to-point customers and native load
9 customers comparably.

10 I spent more of my effort looking, I think,
11 at point-to-point customers and looking at the
12 implications of being able to aggregate
13 contribution requirements over a very long time
14 period and over a broad array of different kinds of
15 projects and what the implications of those are. In
16 terms of establishing something conceptually
17 similar for native load, I think you need to try to
18 do that, but it's not at all clear to me exactly
19 how that would work.

20 The issue goes to, if you've decided you
21 are going to evaluate investments on a project by
22 project basis, the question is -- where do you draw
23 a circle around a project? So, for example, it
24 might be that you draw a circle for native load
25 around all the projects within a particular year,

1 and you might do the same kind of thing for a
2 point-to-point customer, and then you would be very
3 comparable. Or you might simply say that
4 aggregating the projects for native load for a year
5 is reasonably similar to evaluating one large
6 point-to-point contract.

7 Me HÉLÈNE SICARD :

8 Thank you.

9 LA PRÉSIDENTE :

10 Merci, Maître Sicard. Nous sommes rendus à maître
11 Dunberry, j'imagine que vous avez quelques
12 questions?

13 CONTRE-INTERROGÉS PAR Me ÉRIC DUNBERRY :

14 Oui, merci, Madame la Présidente. Alors les membres
15 du panel, bonjour, bon matin, Monsieur Boulanger,
16 Monsieur Vézina, Monsieur Cormier, Mr. Knecht. I do
17 have a few questions for you this morning, and
18 perhaps I will start with monsieur Boulanger et
19 monsieur Vézina, quelques questions très rapides.

20 Q. [3] Je comprends que le mémoire que vous avez
21 déposé est le résultat d'un travail conjoint entre
22 le conseil et l'association, n'est-ce pas?

23 M. PIERRE VÉZINA :

24 R. Oui, on travaille ensemble, effectivement.

25 Q. [4] Et je présume que ce mémoire, avant d'être

1 déposé, a été soumis au conseil et à l'association
2 pour approbation et qu'il a été approuvé suivant le
3 contenu qui nous est présenté aujourd'hui?

4 R. C'est-à-dire que oui, on présente nos conclusions à
5 nos membres.

6 Q. [5] Et vos membres ont endossé les conclusions que
7 vous présentez à la Régie?

8 R. Oui.

9 Q. [6] Monsieur Boulanger?

10 M. LUC BOULANGER :

11 R. Effectivement, c'est, il y a une résolution du
12 conseil qui a encadré les représentations qu'on
13 fait dans le présent dossier. Les paramètres ont
14 été discutés avec le comité de réglementation et
15 c'est le résultat de cet exercice-là.

16 Q. [7] Et je présume que l'association et le conseil
17 ont également revu, avant son dépôt, le rapport de
18 monsieur Knecht?

19 R. Non.

20 M. PIERRE VÉZINA :

21 R. Non.

22 Q. [8] Est-ce que vous en avez pris connaissance avant
23 son dépôt?

24 R. Non.

25 Q. [9] Est-ce que vous en avez pris connaissance après

1 son dépôt?

2 M. LUC BOULANGER :

3 R. Bien, manifestement.

4 Q. [10] Est-ce que vous êtes d'accord avec son
5 contenu?

6 R. Oui.

7 Q. [11] Et l'ensemble de ses conclusions?

8 R. Oui.

9 Q. [12] Et vous n'avez pas participé à l'élaboration
10 de ce rapport?

11 R. Non.

12 M. PIERRE VÉZINA :

13 R. Non.

14 Q. [13] Ni monsieur Cormier... Monsieur Cormier?

15 M. PASCAL CORMIER :

16 R. Non.

17 Q. [14] Merci. Je comprends que vos membres, et je
18 m'adresse à messieurs Boulanger et Vézina, je
19 comprends que vos membres sont des consommateurs
20 d'électricité et font partie de ce que nous
21 appelons tous ici la charge locale du Québec,
22 n'est-ce pas?

23 (9 h 10)

24 M. PIERRE VÉZINA :

25 R. Tout à fait.

1 Q. [15] Et je présume qu'un certain nombre de vos
2 membres sont également des membres qui sont des
3 clients haute tension raccordés directement au
4 réseau de transport d'Hydro-Québec, n'est-ce pas?

5 R. Ils sont raccordés au réseau de transport mais ils
6 sont clients d'Hydro-Québec Distribution.

7 Q. [16] Et je comprends que vous ne représentez pas de
8 clients du service point à point d'Hydro-Québec
9 Transport, TransÉnergie?

10 R. Absolument pas.

11 Q. [17] Et je comprends donc que votre intervention
12 est au nom et dans l'intérêt de la charge locale et
13 de vos membres, n'est-ce pas?

14 R. C'est ce qu'on a dit, oui.

15 M. LUC BOULANGER :

16 R. Exactement.

17 Q. [18] J'aimerais, Mr. Knecht, now, to ask you to
18 take a copy of your report and a copy of the
19 evidence filed by your clients. May I ask you
20 whether you have received, prior to the filing of
21 your report, a copy of the evidence filed by your
22 clients?

23 Dr. ROBERT D. KNECHT:

24

25 A. To the best of my recollection, let me put it this

1 way: I completed my report before I received a copy
2 of the AQCIE-CIFQ report. I may...

3 Q. [19] But you received... Yes?

4 A. I may have received, technically, I may have
5 received a copy of the report before mine was filed
6 but it was, I did not receive it until after I
7 completed mine.

8 Q. [20] May I assume that you read the evidence filed
9 by your clients and that you are in agreement with
10 the contents of that evidence?

11 A. No.

12 Q. [21] No, sorry, no, you're not in agreement with
13 the contents?

14 A. I'm not... You may not assume that I am in
15 agreement with every single aspect that's in there.
16 I did review the report but I think that my
17 conclusions are those laid out in my evidence.

18 Q. [22] Are you able to identify for us positions
19 taken by your clients that you disagree with?

20 A. No.

21 Q. [23] Because there are none or because you're not
22 able to find them?

23 A. I didn't review it that carefully and tried to
24 subject it to a rigorous analysis.

25 Q. [24] So, you're not in a position...

1 A. If I could, just to complete the report, I don't
2 have immediate, I don't have the history of
3 experience in Québec and, I might think, certain
4 aspects of the report prepared by my clients go to
5 issues that I don't have close familiarity with
6 and, therefore, I'm not sure I can agree or
7 disagree without having that experience.

8 Q. [25] So just to be clear, you're not in a position
9 this morning to endorse the entirety of your
10 clients' report?

11 A. That's correct.

12 Q. [26] Thank you. I would like now to ask you to go
13 to your own report and, more specifically, to page
14 4, lines 18 to 22 where you say, and I quote,

15 While the issue is conceptually
16 straightforward...

17 The question, perhaps I should read the question
18 "Is the development of a maximum investment level a
19 simple calculation?" and your answer is the
20 following,

21 While the issue is conceptually
22 straightforward, there are a number of
23 significant issues that must be
24 addressed as part of the calculation.
25 In my experience, different utilities

1 and different regulators take
2 different approaches to these issues,
3 based on their judgment and their
4 assessment of the particular needs of
5 the utility's service territory.

6 You see that, Mr. Knecht?

7 A. Yes, Sir.

8 Q. [27] Now, on page 22, if I may ask you to read a
9 second paragraph for us. On page 22, lines 16 to
10 20, you say the following,

11 Customer contribution policies vary
12 widely from utility to utility and
13 jurisdiction to jurisdiction, and it
14 is not easy to specify a standard
15 practice. Moreover, this variation
16 results from the specific
17 circumstances facing the utility and
18 the jurisdiction, and the policies are
19 tailored to address those concerns. So
20 it should be in Québec.

21 I assume that you are still in agreement with those
22 statements?

23 A. Yes.

24 Q. [28] Now, I take it that public policies, Mr.
25 Knecht, in matters of energy and regulations vary

1 widely from jurisdictions to jurisdictions as you
2 wrote?

3 A. Energy policy, both regulatory policy and
4 government policy certainly.

5 Q. [29] And public policy may as well vary from
6 utility to utility, correct?

7 (9 h 16)

8 A. When you say "public", I think I would say
9 "regulatory policies" but within any particularly
10 government jurisdiction, the policies of the
11 government generally apply to all the utilities
12 within that jurisdiction. Remember, I come from the
13 United States, if you look at an individual state,
14 there may be many... quite a number of electric
15 utilities within that state and so the policy of
16 the state would generally apply to all of the
17 utilities within that state.

18 Q. [30] And you will also agree with me that
19 differences in laws and differences in public
20 policies between jurisdictions may well explain
21 differences in upgrade policies. Correct?

22 A. Oh! Yes.

23 Q. [31] Someone said to me once that politics drives
24 policies and policies drive regulations. Do you
25 think it's a reasonable thing to say?

1 A. Hard to...

2 Q. [32] A simple "yes" will...

3 A. ... hard to agree that that is always the case. But
4 I would certainly agree that it would not be
5 uncommon for politics to drive policies. And it
6 would not be uncommon for policies to drive
7 regulations.

8 Q. [33] Thank you.

9 A. I wouldn't say that it's always the case.

10 Q. [34] Now, you also state that upgrade policies
11 should be tailored - that's the word you used, I
12 believe - should be tailored and designed to
13 address particular needs, concerns and
14 circumstances in a given jurisdiction or a given
15 utility service territory. I assume...

16 A. Yes.

17 Q. [35] ... it's a statement that holds true today.
18 Correct?

19 A. As much as I changed my evidence yesterday, I
20 didn't change that.

21 Q. [36] And you'd also agree with me that upgrade
22 policies should be adapted to the environment in
23 which they're intended to apply.

24 A. Yes.

25 Q. [37] And this is why customer contribution policies

1 - I call that an upgrade policy for purposes of
2 your cross-examination - that upgrade policies vary
3 widely from utilities to utilities and
4 jurisdictions to jurisdictions, as you point out.

5 A. I think it does. My experience is that the general
6 principle, I think that Hydro-Québec transmission
7 has espoused in this proceeding that is that a
8 customer contribution policy or the basic principle
9 that a rate payer should pay the higher of
10 incremental cost or embedded cost, as reflected in
11 rates, is relatively common. Exactly how that gets
12 implemented, I think, can vary widely.

13 Q. [38] And the design of an upgrade policy, as you
14 suggest, is a matter of judgement.

15 A. Yes, I agree with that quite a bit, because you
16 have a number of different criteria that you're
17 trying to satisfy, some of which are in conflict
18 and, therefore, judgement is required.

19 Q. [39] And given your answers to this short series of
20 questions, Mr. Knecht, I take it that you will
21 agree with me that TransÉnergie's upgrade policy
22 should be adapted to the Québec legal commercial
23 and regulatory environment. Correct?

24 A. Yes.

25 Q. [40] And it should also be adapted to the

1 particular needs of HQT's service utilities and
2 territories.

3 A. Yes.

4 Q. [41] And it also should be adapted to the specific
5 circumstances facing the Québec native load and the
6 point-to-point customers active in Québec. Correct?

7 A. Yes.

8 Q. [42] Thank you. I'd like to refer you now to page 3
9 of your report; and there is a description between
10 lines 9 and 18...

11 A. Yes, Sir.

12 Q. [43] And there's also between lines 21 and 24 that
13 I would like... Now, once you're prepared...

14 A. Yes.

15 Q. [44] ... when I read from line 9 to 18, there's a
16 description here of what you call a customer
17 contribution policy or maximum investment policy,
18 would you agree with me that this generic
19 description reflects fairly well the maximum
20 investment and contribution policy that we find in
21 section E of appendix J in Québec? Correct?

22 A. Yes, I think so.

23 Q. [45] And will you agree with me again, reading this
24 description, that HQT's maximum investment policy
25 appears to be conceptually in line with what you

1 described here as a typical customer contribution
2 policy or maximum investment policy? Correct?

3 A. Yes, conceptually. And, as I said, when you get
4 down into the details of the specific parameters
5 used in that calculation, there's an array of
6 different things. But conceptually, I would agree
7 that the maximum investment policy is consistent
8 with my understanding of how these policies are
9 usually developed.

10 (9 h 23)

11 Q. [46] Now, from line 21 to 24, it's a short
12 description, it says that:

13 FERC's "Higher-Of" policy for new
14 transmission customers is conceptually
15 consistent with the customer
16 contribution policies of many
17 different kinds of utilities. In
18 essence, it represents a balance
19 between the principles of economic
20 efficiency and equity.

21 I take it, Mr. Knecht, that FERC's "Higher-Of"
22 policy is a recognized tool to achieve a proper
23 balance for the design of an upgrade policy by
24 providing a balance between various principles,
25 including what you refer here as to efficiency and

1 equity. Correct?

2 A. Yes. Let me be careful. I don't have a lot of... I
3 don't have any direct experience in front of FERC.
4 So I'm not familiar with a lot of the specifics of
5 how FERC, how the FERC implements those policies.
6 Conceptually, my understanding of FERC's "Higher-
7 Of" policy is that it does represent a balance
8 between the equity and economic efficiency
9 arguments that I tried to lay out in this evidence.
10 Again, a lot of the devil is in the details of how
11 heavily the implementation of that policy focuses
12 on ensuring that incremental costs are covered, and
13 how heavily that policy focuses on ensuring that,
14 or providing that new customers will, for some
15 projects, contribute to the costs of the existing
16 system.

17 Q. [47] I'm still just at the conceptual level.

18 A. Okay.

19 Q. [48] We'll spend a long time with Hydro-Québec's
20 TransÉnergie policy.

21 A. I was...

22 Q. [49] I promise that.

23 A. I was afraid of that.

24 Q. [50] I promise that. But again, just to wrap this
25 up, you will agree with me that the FERC's "Higher-

1 Of" policy is a relevant tool, or a relevant
2 comparison to HQT's maximum allowance policy and
3 contribution policy.

4 A. Yes.

5 Q. [51] Thank you. Now, page 22 of your report. If you
6 read from line 21 to, I believe 26 and... You say
7 the following:

8 However, having said that, it is my
9 experience that customer contribution
10 policies are generally determined at
11 the time a new customer signs on for
12 service, and apply to one project at a
13 time. At that time, both incremental
14 revenues and incremental costs are
15 assessed, and any customer
16 contribution determined. In general,
17 any unused contributions are not
18 carried forward, and levelized
19 incremental cost tests are
20 unnecessary.

21 I assume you still agree with that statement?

22 A. Yes. Being careful that most of my experience is
23 not actually with thirty-five (35) or fifty (50)
24 year transmission contracts. My experience is more
25 with distribution utilities. But...

1 Q. [52] I understand that. Thank you for saying it
2 too. But I understand that your understanding of
3 the "Higher-Of" policy, it's applied once at the
4 beginning of the project. Correct?

5 A. Yes. I think it makes much more sense that way. But
6 it is my understanding that that's how it works, in
7 the experience that I have, and I also think that
8 that makes more sense to do it that way, where you
9 evaluate a project at the time you know all of
10 the... You can make an estimate of what the
11 incremental revenues from that project will be, you
12 can make an estimate of what the costs are,
13 associated with all of the costs that will be
14 incurred over whatever time period, in order to
15 provide that service. And you evaluate that project
16 as a project.

17 Q. [53] And FERC does not require an annual follow-up,
18 correct?

19 A. I can't say that from my knowledge but I don't know
20 that FERC does.

21 Q. [54] Okay. So, based on what I read in your report,
22 when you say, you know, "carried forward tests are
23 not necessary", I take it that, from your own
24 experience, the annual follow-up is not part of
25 FERC's "Higher-Of" policy. Correct?

1 A. Not to my knowledge.

2 Q. [55] Thank you. Mr. Knecht, I understand that you
3 were informed, at some point, that since two
4 thousand two (2002), this Board has rendered a
5 number of decisions concerning Hydro-Québec's
6 higher... let's call it upgrade policy, and that
7 these decisions have in fact recognized certain
8 design principles. Correct?

9 A. Yes.

10 Q. [56] Were you provided with translated copies of
11 those decisions, including...

12 A. Not all.

13 Q. [57] Sorry?

14 A. Not all of them.

15 Q. [58] Now, I take it that you have seen D-2002-095?
16 The first one.

17 A. I believe I looked at it. It was my understanding
18 that the existing maximum investment test, the
19 arithmetic of it was approved in that proceeding.

20 Q. [59] Okay. But you don't recall being provided with
21 translations of other decisions that this Board has
22 rendered in the last twelve (12) years concerning
23 Hydro's upgrade policy?

24 (9 h 28)

25 A. I was not provided with translations of them. I'm

1 not sure that I requested them. I did look at some
2 decisions, and and ran parts of them through the
3 Google translator to try to get a general
4 understanding of what was going on...

5 Q. [60] I assume that you do not read French, Mr.
6 Knecht?

7 A. Not at all.

8 Q. [61] Okay.

9 A. It is my handicap.

10 Q. [62] Now when I look at your report, Mr. Knecht, I
11 did not find references to these decisions, there
12 is a reference to the D-2002-095 but no references
13 to other decisions, is that possible, at the time
14 of preparing your report, you were not actually in
15 possession of all these other decisions?

16 A. I honestly don't recall, when I prepared this
17 report, whether I had reviewed those decisions or
18 not.

19 Q. [63] So it is safe to say that your report did not
20 take into account the various decisions that the
21 Board rendered over the years concerning HQT's
22 upgrade policy, it was not drafted on the basis of
23 those or taking into account the contents of those
24 decisions?

25 A. Certainly not by reviewing those reports. And let

1 me just be clear -- in preparing this report, well,
2 Mr. Cormier correctly states that he did not
3 participate in drafting this report; I certainly
4 had some interactions with him with respect to
5 decisions that had been taken in the context in
6 which this report was being prepared where I did
7 so, I tried to at least stated here that it was my
8 understanding. So in this evidence where you see it
9 is my understanding, and it's not cited to any
10 particular decision...

11 Q. [64] But you have no recollection of which
12 decisions you actually took into account?

13 A. Sitting here, no.

14 Q. [65] Now do you know what is a Section 73
15 application, Mr. Knecht, under the Act, under the
16 Québec Régie de l'énergie Act?

17 A. No.

18 Q. [66] You don't know what that is?

19 A. No.

20 Q. [67] Have you read any decisions of this Board
21 rendered under Section 73, that is the
22 authorization process of an investment in excess of
23 twenty-five million dollars (\$25 M)?

24 A. I don't know that I read any decisions that are
25 characterized as such. I did, I believe, attempt to

1 run a mechanical translation of the decision
2 involving the Romaine...

3 Q. [68] Was that after or before you filed your report
4 of December fifth (5th), two thousand...

5 A. I believe it was after.

6 Q. [69] I believe so too. Now one choice that was made
7 by this Board in two thousand two (2002) was to
8 subject the Québec native load to its upgrade
9 policy, you were aware of that fact, I believe?

10 A. Yes.

11 Q. [70] And this was, and remains today, a policy
12 decision of this Board, you understand that as
13 well, correct?

14 A. Yes.

15 Q. [71] Now Québec is quite unique in that sense, as I
16 believe very few jurisdictions in North America
17 have subjected their native load to an upgrade
18 policy, would you agree with that statement?

19 A. I certainly have no reason to disagree.

20 Q. [72] In other words, you would agree that it is
21 quite unique to Québec?

22 A. I can't say that I've been in many many
23 jurisdictions and I have direct knowledge that it
24 is unique. However, that is certainly my
25 understanding based on the testimony of people who

1 have more experience in more jurisdictions, I have
2 no reason to disagree with it. Also, it would not
3 be unusual for Québec to do things in a unique
4 manner.

5 Q. [73] And why would that be?

6 A. In some of my other experience in Québec, policies
7 have been established that are unusual.

8 Q. [74] And is there a problem with that?

9 A. No.

10 Q. [75] Okay.

11 A. To be honest, it depends on the policy, some of
12 them are okay, some less so.

13 Q. [76] Now since, in Québec, the upgrade policy
14 applies to the native load, you will agree, from a
15 let's say conceptual perspective, that the
16 attributes and the characteristics of the native
17 load are therefore relevant factors in reviewing
18 the design of an upgrade policy?

19 (9 h 34)

20 A. I'm sorry, could you just say that one more time.

21 Q. [77] We just understood that Québec, as you know,
22 subjects its native load...

23 A. Yes, yes.

24 Q. [78] ... to its upgrade policy so I'm simply asking
25 you to confirm the logical inference from there

1 which is to say that since the native load is
2 covered by the upgrade policy, it would be relevant
3 for the Board to consider the attributes and the
4 characteristics of the native load in reviewing
5 TransÉnergie's upgrade policy, am I right?

6 A. Yes, Sir.

7 Q. [79] And it would also be relevant for this board
8 to adapt HQT's upgrade policy to take into account
9 the native load?

10 A. Yes. The Board decided that a maximum or that an
11 upgrade policy would apply to native load and,
12 therefore, it has to do that.

13 Q. [80] Now, were you informed that since two thousand
14 six (2006), for purposes of calculating the maximum
15 allowance and the contribution of HQD - like in
16 Distributor - an annual aggregation of the load
17 growth upgrades was recognised as a proper tool, an
18 aggregation on the load side was recognized, and in
19 fact confirmed in the OATT? Were you informed of
20 that, going back to two thousand six (2006)?

21 A. I was not informed that that was a specific
22 regulatory decision. I recognized that that method
23 of calculation is the one that is used in the
24 proposed maximum investment test.

25 Q. [81] Were you provided with a copy of

1 TransÉnergie's OATT, Mr. Knecht?

2 A. I did in fact download an English version of the
3 OATT.

4 Q. [82] And I assume you read section E? That is the
5 upgrade policy.

6 A. Some time ago, yes.

7 Q. [83] Okay. Now this aggregation is actually
8 codified in section E where it is said that "in
9 calculating the maximal allowance" and the page is
10 missing, that copy, that's unfortunate, so I'll try
11 to find my other copy.

12 M. PASCAL CORMIER :

13 R. Excusez-moi, Monsieur Dunberry...

14 Q. [84] Oui.

15 R. Je vais juste trouver le temps de trouver le
16 document.

17 Q. [85] Oh! I have it now. I have it now.

18 R. Je vais juste prendre le temps de trouver le
19 document pour que le témoin ait accès au document.

20 Q. [86] So, let me simply ask this in the meantime, so
21 I have the page now. I apologize for that.

22 THE PRESIDENT:

23 If you could just...

24 Me ÉRIC DUNBERRY:

25 Yes, we'll wait.

1 THE PRESIDENT:

2 ... give a moment to the witness. Merci.

3 Me ÉRIC DUNBERRY:

4 I can read it...

5 Mme LOUISE PELLETIER :

6 Excusez-moi, Maître Dunberry, pour notre bénéfice,
7 pourriez-vous nous indiquer la page, s'il vous
8 plaît?

9 Me ÉRIC DUNBERRY :

10 Oui, c'est la page 172...

11 Mme LOUISE PELLETIER :

12 Merci.

13 Me ÉRIC DUNBERRY :

14 ... dans la version en anglais, 180 de la version
15 en français.

16 Mme LOUISE PELLETIER :

17 Merci.

18 Me ÉRIC DUNBERRY:

19 À la page 180, Madame la Régisseuse Pelletier, je
20 vais la lire en anglais néanmoins - j'avais amené
21 la mauvaise version, c'est pour ça.

22 Q. [87] So, Mr. Knecht, it says the following,

23 The costs related to upgrades required
24 to meet needs arising from growth in
25 the native load for which the

1 Distributor submits annually its
2 forecasts to the transmission provider
3 pursuant to section 37.1 are born by
4 the transmission provider up to a
5 maximum amount specified in section E
6 below, taking into account for all
7 investments associated with projects
8 commissioned by the transmission
9 provider during the year, all load
10 growth that such projects are to serve
11 over a twenty (20) year period.

12 So, this notion of aggregation for the Distributor
13 on the load side has in fact been recognized by the
14 Board and codified in the tariff since two thousand
15 six (2006) and for purposes of calculating the
16 contribution and the maximum allowance; for the
17 last nine years, the aggregation process has
18 already been in place. I take it that you were not
19 informed of that fact.

20 (9 h 39)

21 A. It was my understanding when I prepared this
22 testimony that there was an annual aggregation and
23 that the existing test had an annual aggregation,
24 and that it had a load assumption that the load
25 growth over the entire period would be the

1 determinant for the maximum investment amount.

2 Q. [88] So, you understand that a policy decision was
3 made in two thousand six (2006) and that the
4 aggregation was recognized in two thousand six
5 (2006) for purposes of calculating the maximum
6 allowance for the Distributor. You recognize the
7 existence of that...

8 A. Yes...

9 Q. [89] ... policy.

10 A. ... yes, I do.

11 Q. [90] Now, you understand as well that TransÉnergie
12 has only one client for the native load, which is
13 HQD. Correct?

14 A. Yes.

15 Q. [91] And may I suggest to you that, in this
16 context, with the fact that there's only one
17 client, and given the nature of the native load,
18 that this annual aggregation that is going on since
19 two thousand six (2006) is appropriate to deal with
20 load growth projects for the native load and to
21 calculate the maximum allowance?

22 A. It's a policy that's in place now. Policies can be
23 reevaluated.

24 Q. [92] Do you think it's an appropriate policy or do
25 you think that the Board committed an error when it

1 adopted that policy in two thousand six (2006)?

2 A. With respect to this proceeding, I think we're
3 wrestling with trying to establish policies for
4 native load and point-to-point customers...

5 Q. [93] My question, Mr. Knecht...

6 A. ... at a reasonably comparable...

7 Q. [94] Let me rephrase my question. I'm not talking
8 about the point-to-point customers. I'm not talking
9 about the particular aggregation that is being
10 discussed in this hearing, which is an aggregation
11 load resource. I'm asking you whether you find it
12 appropriate that an aggregation was ordered by this
13 Board as of two thousand six (2006) for the
14 Distributor in aggregation concerning the loads. Do
15 you find that policy that's been in place since two
16 thousand six (2006) to be appropriate?

17 Me PIERRE PELLETIER :

18 Madame la Présidente, le témoin commençait à
19 répondre à la question. Je pense qu'il faut lui
20 laisser l'occasion de présenter sa réponse.
21 Manifestement, il voulait mettre en contexte la
22 réponse qu'il allait donner, ce qui me paraît
23 correct. Et je ne pense pas qu'il soit approprié
24 dans le contexte de l'interrompre et de l'empêcher
25 de s'exprimer. S'il ne répond pas à la question du

1 procureur, je comprends qu'il reviendra à la
2 charge. Mais tel n'était manifestement pas le
3 chemin suivi par le témoin.

4 Me ÉRIC DUNBERRY :

5 Madame la Présidente, je retire ma seconde question
6 et je laisse le témoin répondre à la première.

7 LA PRÉSIDENTE :

8 Je vous remercie beaucoup. Monsieur Knecht...

9 Mr. ROBERT D. KNECHT:

10 A. As a general matter, I think we're trying to work
11 within the construct that native load will pay a
12 contribution. We are looking at trying to balance
13 the policies to be reasonably comparable between
14 those of native load and point-to-point customers.
15 There is a policy, which I think you stated, as I
16 understand what you've told me, that applies to
17 native load. The question then becomes: do you
18 allow that policy to drive all other policies or do
19 you then circle back and try to evaluate both sets
20 of policies?

21 (9 h 44)

22 Q. [95] So let me rephrase, now, my second question.
23 Do you, yes or no, find it appropriate to use an
24 aggregation of the loads to calculate the maximum
25 allowance for the native load?

1 A. An aggregation of the loads for one year, just
2 aggregating the loads for the one year, I don't see
3 as necessarily unreasonable. I don't... I would not
4 see that as an unreasonable policy.

5 Q. [96] Do you think that...

6 A. I do...

7 Q. [97] Sorry. Go ahead.

8 A. One thing to consider is, as a standalone
9 assessment of a maximum investment policy, as I
10 think I lay out in my evidence, the implicit
11 assumption that all of the load growth over twenty
12 (20) years is assumed to appear in the first year,
13 is, I think, something that, at least as a matter
14 of arithmetic, serves to overstate the maximum
15 investment amount for native load.

16 Q. [98] Now, you understand that the policy in place
17 since two thousand six (2006) is a policy for an
18 annual aggregation. You understood that, correct?
19 No one is suggesting to do more than an annual
20 aggregation for the native load. You understood
21 that?

22 A. My understanding was that the proposal of HQT was
23 to allow carry-forward's of unused maximum
24 investment credits. And that implicitly results in
25 a broader aggregation than simply evaluating it

1 over one year.

2 Q. [99] Mr. Knecht, my comment, with respect, was to
3 the two thousand six (2006) policy. Do you
4 understand that the two thousand six (2006) policy
5 is an annual aggregation of the load? Do you
6 understand that?

7 A. I will... I will... I don't understand it from
8 having reviewed the decision in detail. I will
9 certainly accept your representation to that
10 effect.

11 Q. [100] Now, do you know why this Board decided to
12 subject the native load to an upgrade policy? Do
13 you know why they did that?

14 A. No.

15 Q. [101] You don't?

16 A. No.

17 Q. [102] We'll go there. I'll give you a copy of a
18 decision that is quite known, 2002-095. Madame la
19 Présidente, I have copies but I'm sure everyone has
20 copies of that decision, but I do have additional
21 copies if the Board... So, Mr. Knecht, this
22 decision was rendered some time ago, but is quite
23 relevant in the context of our proceedings.

24 Me ANDRÉ TURMEL :

25 Je m'excuse d'interrompre mon confrère. Juste parce

1 que, comme les intervenants, nous aimerions... On
2 n'a pas de copie. On aimerait suivre en temps réel
3 les travaux. Nous avons pris la peine, lorsqu'on a
4 fait... de faire trente (30) copies en tout temps.
5 Je demanderais à mes collègues, à nos amis de HQT,
6 de faire de même, pour avoir le... Sinon il y a un
7 décalage. Madame la greffière court partout. Bref,
8 on aimerait ça avoir ça en même temps pour suivre,
9 si c'est possible. Excusez-moi, Maître Dunberry.

10 Me ÉRIC DUNBERRY :

11 Bien noté, Madame la Présidente. J'en avais douze
12 (12) ou quinze (15), on en aura trente (30).

13 Q. [103] So, Mr. Knecht, I will read...

14 LA PRÉSIDENTE :

15 Juste... Juste un instant, Maître Dunberry, juste
16 le temps que je retrouve la décision...

17 Me ÉRIC DUNBERRY :

18 Oui. Merci, Madame la Présidente. N'hésitez jamais
19 à me suggérer de prendre une pause pour vous
20 permettre de retrouver des documents.

21 LA PRÉSIDENTE :

22 Je vous remercie.

23 Mme LOUISE PELLETIER :

24 Excusez. De retrouver, et d'avoir le temps, pour la
25 greffière, de faire les copies qui sont manquantes.

1 Me ÉRIC DUNBERRY :
2 Oui.
3 Mme LOUISE PELLETIER :
4 Merci.
5 LA PRÉSIDENTE :
6 Juste un instant. C'est juste parce qu'on va donner
7 une copie au traducteur pour... On va juste prendre
8 deux minutes (2 min). Madame la greffière est
9 partie faire des copies. Les copies s'en viennent,
10 ça ne sera pas long.
11 (9 h 55)
12 LA PRÉSIDENTE :
13 Mr. Knecht, I will take the moment, I have received
14 a note where some people have some difficulty to
15 hear you at the back of the room, so if you can
16 talk a bit louder, that will be appreciated.
17 Dr. ROBERT D. KNECHT :
18 A. And slower too, I bet.
19 LA PRÉSIDENTE :
20 That will be for the translator, yes.
21 Me ÉRIC DUNBERRY :
22 Merci beaucoup. Alors désolé pour ce contre-temps,
23 Madame la Présidente. Avec votre permission, nous
24 reprenons?
25 LA PRÉSIDENTE :

1 Allez-y.

2 Me ÉRIC DUNBERRY :

3 Q. [104] So, Mr. Knecht, I would like now to refer you
4 to page 299 of that decision. The question was
5 whether you knew why the Board decided to subject
6 the native load to the upgrade policy, and page
7 299, the first paragraph says the following, and I
8 will read it in French so you get the translation :

9 Toutefois, la Régie est d'avis qu'il
10 faut imposer le même montant maximum
11 que dans le cas d'ajouts pour le
12 service de point à point et de réseau
13 intégré. Cette proposition vise à
14 traiter tous les clients [...] de la
15 même façon.

16 La Régie cherche ainsi à éviter des
17 situations où un client du service de
18 transport de point à point, ou en
19 réseau intégré, est dans l'obligation
20 de supporter l'entièreté du coût des
21 ajouts pour la charge locale, via le
22 tarif de transport qu'il paie, en plus
23 de devoir assumer seul l'excédent du
24 coût des ajouts qu'il requiert sur le
25 montant maximal supporté par le

1 transporteur. La Régie est d'avis
2 qu'une telle situation serait
3 inéquitable pour les clients des
4 services de transport autres que celui
5 requis pour la desserte de la charge
6 locale.

7 So that was the basis for that decision that was
8 made in two thousand two (2002). Would you agree
9 with me that it is sound policy making to seek an
10 equitable treatment of all clients and to avoid
11 undue discrimination under an upgrade policy?

12 A. Yes, I would agree that's one of the criteria. I
13 believe I even say that in this evidence.

14 Q. [105] And would you also agree that ensuring an
15 equitable and non-discriminatory treatment is a
16 very relevant factor in reviewing the contents of
17 an upgrade policy?

18 A. I believe I say that in my evidence.

19 Q. [106] And would you also agree that the methodology
20 for the calculation of the maximum allowance should
21 result in the same maximum allowance for both the
22 native load and the point-to-point customer?

23 A. It's hard to make it perfect, because the nature of
24 native load growth is very different than the
25 nature of point-to-point service.

- 1 Q. [107] The Board says the following, Mr. Knecht, I'm
2 rereading the first paragraph,
3 Toutefois, la Régie est d'avis qu'il
4 faut imposer le même montant
5 maximum...
6 "le même montant maximum", my question is the
7 following -- would you agree that the Board made a
8 sound policy decision when it decided that the same
9 maximum allowance should be offered to both point-
10 to-point customers and native load customers?
- 11 A. I believe that the Board's consideration of
12 attempting to avoid undue discrimination and
13 attempting to treat native load and point-to-point
14 customers comparably is a very reasonable criterion
15 and an understandable criterion for trying to
16 develop a policy that applies to both native load
17 and point-to-point customers. I do not know that
18 that means you have to apply exactly the same test
19 to both types of customers, the best you can do is
20 to treat them reasonably comparably, I believe.
- 21 Q. [108] I understand, that was an answer to a
22 previous question, I understand that, Mr. Knecht,
23 my question is very specific -- do you find this
24 bad policy when the Board decided, in two thousand
25 two (2002), to ensure that the maximum investment,

1 the amount itself, let's say the five ninety-eight
2 (\$598), the five ninety-eight dollars per kilowatts
3 (\$598/kW), do you think it was bad policy when the
4 Board decided, in two thousand two (2002), and has
5 maintained for the last fourteen years, do you
6 think it is bad policy to ensure that the same
7 maximum investment, in dollars per kilowatt, is
8 offered to both native load and point-to-point
9 customers, is that good or bad policy?
10 (10 h 00)

11 Q. [109] Mr. Knecht, is it good or bad policy?

12 A. In the... I guess I'm reluctant to evaluate the
13 policy that it has to be exactly, the exact same
14 treatment in terms of a dollar per kilowatt of
15 incremental load has to be exactly the same.
16 Outside... I understand trying to treat them
17 comparably, but you also need to try to, I think,
18 recognize the differences between native load and
19 point to point customers and I think I would
20 generally try to reflect the differences between
21 the two types of customers in establishing a
22 maximum investment policy but using comparable
23 principles.

24 Q. [110] So...

25 A. Having said that, there is an advantage to using

1 exactly the same number which is the advantage of
2 simplicity.

3 Q. [111] The advantage of simplicity? Don't you think
4 it would fly in the face of what the Régie has said
5 for the last fifteen (15) years in the terms of
6 equal treatment and non-discrimination? Do you
7 think your clients deserve more money than
8 Brookfield or NLH per kilowatt?

9 A. I'm sorry, could you ask the question again?

10 Q. [112] Do you think your clients deserve more money
11 in terms of kilowatt than Brookfield and NLH? I'm
12 looking at it from a discrimination perspective.
13 That's the Board policy decision, the Board decided
14 back then, and has since said in many decisions,
15 that discrimination was an issue and that, to avoid
16 discrimination, the same maximum investment should
17 be available to both Brookfield, NLH and your
18 clients. Are you suggesting, and I think that's
19 what you are in your report, but are you suggesting
20 that your clients should have more money per
21 kilowatt than other customers of TransÉnergie?

22 A. Not, I'm not suggesting that if in fact they are
23 evaluated on a comparable basis.

24 (10 h 04)

25 Q. [113] Now, another policy decision, Mr. Knecht,

1 that was made by this Board, was to entirely roll
2 in certain categories of investments made, for
3 instance, for purposes of reliability. Are you
4 aware of that policy decision that was made by the
5 Board back in two thousand two (2002)?

6 A. I was not aware of when it was adopted. I was aware
7 that it was the policy.

8 Q. [114] Do you know how many categories of
9 investments there are? Investments are made by
10 TransÉnergie, and there are various categories of
11 investments. Do you know how many of these
12 categories have been recognized by the Board?

13 A. No. I don't know how many have been recognized by
14 the Board. There are obviously thousands of
15 categories of investments.

16 Q. [115] Have you been informed that there are four
17 categories that are treated, specifically treated
18 for purpose and objectives? Were you aware of that
19 fact, Mr. Knecht?

20 A. I'm sure there are thousands of categories of
21 investments that can be evaluated. I was not aware
22 that they were aggregated into four. I was aware
23 that there is a category of investments called
24 reliability investments.

25 Q. [116] And you were not aware of the fact that these

1 categories reflect special purposes of objectives
2 that these investments try to achieve?

3 A. No.

4 Q. [117] Do you understand that this upgrade policy
5 only applies to load growth projects?

6 A. Yes.

7 Q. [118] Would you say that the fact that this policy
8 only applies to load growth projects is a relevant
9 factor in reviewing the contents of TransÉnergie's
10 proposal?

11 A. Yes.

12 Q. [119] And you now understand that this maximum
13 allowance is not intended for reliability
14 improvements. You understand that, Mr. Knecht?
15 Reliability is a different category. This is load
16 growth. Do you understand that the maximum
17 allowance under the policy is not intended for
18 reliability improvements?

19 A. Yes, I understand that. I think that within the
20 context of the Higher-Of policy, if you are paying
21 more... If a customer is paying more than the
22 incremental costs, if the tariff rate is higher
23 than the incremental costs, then implicitly, the
24 new customer will be contributing to other types of
25 investment within the system.

1 Q. [120] Now, this Board made also policy decisions
2 with respect to various guiding principles that
3 should be followed. Were you informed of that?

4 A. No.

5 Q. [121] I'd like to refer you back to the two
6 thousand two (2002) decision, Mr. Knecht, on page
7 298. The first decision made by the policy... by
8 the Board back then, on page 298, it's the third
9 paragraph, it says:

10 La Régie accepte également...

11 Sorry. I should... Please. Third paragraph:

12 La Régie accepte également la
13 proposition du transporteur de limiter
14 le montant qui peut être intégré à la
15 base de tarification.

16 Would you agree that it was a sound policy decision
17 by the Board to limit to the maximum allowance the
18 amount rolled in the rate base?

19 A. Yes. That's how a maximum investment test works.

20 Q. [122] Now, in the following paragraph, the Board
21 says, just below, the second below:

22 L'application de ce maximum protège
23 donc les clients du service de
24 transport contre des coûts de
25 raccordement et d'intégration qui

1 seraient excessifs.

2 Would you agree that protecting existing clients,
3 as the Board said, from undue or excessive cost
4 burden associated with an upgrade, is an
5 appropriate and reasonable objective and policy
6 decision?

7 A. Yes.

8 Q. [123] And then, just the paragraph above, it says:

9 Tel que proposé par le transporteur,
10 le montant total qu'il aurait à
11 assumer correspond à la valeur
12 actualisée du tarif de transport pour
13 une période de 20 ans en prenant en
14 compte les frais d'entretien et
15 d'exploitation ainsi que la taxe sur
16 le capital. La Régie reconnaît
17 qu'ainsi, l'impact sera, au pire,
18 neutre pour tous les clients et, au
19 mieux, favorable en réduisant le tarif
20 de transport pour l'ensemble des
21 clients.

22 (10 h 09)

23 Now, there's a reference here to a concept of rate
24 neutrality in this paragraph. Would you agree again
25 with me that it was a sound policy decision to

1 recognize, through the calculation of the maximum
2 allowance, the concept of rate neutrality for
3 purposes of the upgrade policy?

4 A. I would agree that it's a... you read it a little
5 quickly and I'm not sure I followed the translation
6 completely. I would agree that it's a sound policy
7 that a... that the introduction of new customers
8 does not result in a negative impact on existing
9 customers or an undue negative impact on existing
10 customers. And I think that's at the essence of the
11 revenue neutrality principle that you state. As to
12 the specific arithmetic for twenty (20) years and
13 all of the other criteria that go in it, depending
14 on how that test is calculated, it may be
15 conservative, it may be aggressive, it may
16 provide... it may implicitly result in new
17 customers making a contribution to the existing
18 system such that rates are being forced down or it
19 could be a less aggressive test and it could
20 provide thus less protection for existing
21 customers. So, a lot of the devil is in the details
22 of the arithmetic.

23 Q. [124] I'm not referring really to the actual
24 specific calculations. Again, I'm at a conceptual
25 level. I'm simply asking you whether you would

1 agree with me that it was, and still is, sound
2 policy decision to recognize, through the
3 calculation of the maximum allowance, a concept of
4 rate neutrality.

5 A. Yes, all I'm commenting on is, at least, I see a
6 twenty-year (20) number in here such that there's
7 some aspect of this that actually goes to the
8 specific parameters in the test. And that's where I
9 was a little nervous. As a general policy, yes, I
10 think that's consistent with my evidence.

11 Q. [125] And the same would apply with a contribution.
12 It's just the same logic that the payment of a
13 contribution, when required, is also sound policy
14 decision to embody the concept of rate neutrality
15 by forcing the customer to pay a contribution, when
16 required.

17 A. Yes.

18 Q. [126] Now, if you... I think I've covered that.
19 These are all policy decisions made in Québec, Mr.
20 Knecht; you recognize that?

21 A. Yes.

22 Q. [127] Now, are you familiar with the fact that in
23 Québec we have what we call here a "post stamp
24 tariff"?

25 A. Postage stamp tariff?

1 Q. [128] Yes.

2 A. Yes. Hmm, hmm.

3 Q. [129] You're aware of that fact.

4 A. For transmission rates in general, yes; and for
5 other rates as well.

6 Q. [130] So, this means, for instance... and maybe I
7 should refer you to your report. If you take your
8 report on page... I believe this would be on page
9 2. At the bottom of page 2, you discuss briefly the
10 notion of a "flex" rate or a "discounted" rate as
11 being an option in certain jurisdictions. You
12 understand that...

13 A. If...

14 Q. [131] Yes?

15 A. ... perhaps... speaking too quickly in saying that
16 I...

17 Q. [132] Well, let me ask you the question. I'll
18 ask...

19 A. I'm still on the last question.

20 Q. [133] Oh! Okay, well...

21 A. Now, if... And I apologies for not getting it in.
22 The postage stamp rate applies to the tariff. And
23 the tariff rate is an embedded cost generally
24 developed on an embedded cost basis. When you have
25 anything that's based on incremental cost, you are

1 no longer in the world of postage stamp rates
2 because now you're applying a charge in the form of
3 a required contribution that reflects the specific
4 circumstances of the customer who's required to
5 make that contribution. And that could very well
6 reflect geographic differences. So, the tariff is a
7 postage stamp tariff, but the customer contribution
8 policy is not postage stamp.

9 (10 h 15)

10 Q. [134] But you understand that in Québec it would
11 not be possible to charge a specific incremental
12 rate to a customer living or having an upgrade in
13 an isolated territory?

14 A. I'm sorry, say that again?

15 Q. [135] It would not be possible in Québec to charge
16 an incremental, a special incremental rate to a
17 customer requesting an upgrade in an isolated
18 territory, for instance?

19 A. I think this would depend, I think for some
20 projects, certainly for some projects, a customer
21 contribution would be required. I don't know the
22 details of service in remote areas in Québec, but
23 when you say "remote", it would depend on the
24 project, if a project requires an extension of the
25 transmission system to serve a large industrial

1 customer, I mean, yes, a contribution might be
2 required.

3 Q. [136] My question really, Mr. Knecht, was -- would
4 you agree with me that it would not be possible to
5 charge a different tariff to a client seeking an
6 upgrading built in an isolated area, as opposed to
7 a client seeking an upgrade in a residential area.

8 A. Yes, that is my understanding of how the postage
9 stamp rates work.

10 Q. [137] Now... yes?

11 A. But from a practical perspective, when you are
12 requiring a contribution of a customer, the tariff
13 rate is not, the tariff rate is not important when
14 you require a contribution, because what you are
15 requiring is that that customer cover his
16 incremental costs, and you are setting the rate
17 more based on the incremental costs, in fact you
18 are setting it almost entirely on the incremental
19 costs, and it is, and what the tariff rate is, is
20 not particularly relevant.

21 Q. [138] Now, Mr. Knecht, on your page 7 of your
22 report, lines 13 to 16, you refer to the actual
23 calculation of the maximum allowance, and on line
24 15, you say,

25 This methodology was apparently

1 approved by the Régie in Decision
2 2002-095, and thus has been in place
3 for a number of years.

4 So you do understand that this Board approved a
5 methodology and has, through various project
6 approval processes, applied and endorsed the
7 methodology as applied by Hydro-Québec TransEnergy,
8 correct?

9 A. Yes.

10 Q. [139] Now are you aware of any decision of the
11 Board to the effect that this methodology was
12 inappropriate for purposes of assessing a maximum
13 allowance?

14 A. No.

15 Q. [140] Are you aware of any decision of this Board
16 to the effect that this methodology was
17 inconsistent with the language of the Tariff,
18 Section E?

19 A. I am not aware of any decision of the Board to that
20 effect.

21 Q. [141] Are you aware of any decisions of the Board
22 to the effect that this methodology was
23 conservative, overly conservative, or extremely
24 conservative, to use three words that we find in
25 your presentation?

1 A. I am not aware of any decision of the Board to that
2 effect.

3 Q. [142] Now you did say, in your report, that you
4 felt that this was either very conservative or
5 extremely conservative, do you recall writing those
6 words, Mr. Knecht?

7 A. Yes. Usually, I try to take out the word
8 "extremely" when I edit it, but I obviously missed
9 one.

10 Q. [143] You missed the word "extremely"?

11 A. Yes, I usually...

12 Q. [144] Yes.

13 A. ... I usually take those out in my edit process.

14 Q. [145] Yes. So just for your reference, it is page
15 14, line 15.

16 A. I trust you.

17 Q. [146] Yes, you can. Now you are not suggesting that
18 this Board failed to understand, for the last
19 twelve years, that the methodology it approved and
20 applied was conservative?

21 A. I'm sorry, I believe that the methodology...

22 Q. [147] No, you are not suggesting, I assume you are
23 not suggesting that the Board, over the last twelve
24 years, or fifteen years, was not aware of the fact
25 that it had approved and applied, for many many

1 years, a conservative methodology, or let's say a
2 prudent methodology?

3 (10 h 21)

4 A. I don't, I obviously don't know what the Board was
5 aware of or not aware of with respect to the
6 relative conservatism of this particular policy.

7 Q. [148] Now, we understand that you find it
8 conservative or prudent but you're not suggesting
9 that it is affected by some serious substantive
10 defect, you're simply suggesting that the results
11 is, in your opinion, conservative?

12 A. Yes, that's correct. Then, as I said, there are a
13 wide range of these kinds of policies out there
14 and, again, the level of how conservative or
15 aggressive the policy is is in details of the test
16 and, you know, therefore, because there are a range
17 of policies, I don't think that the Board's current
18 policy is outside that range.

19 Q. [149] Now, we saw that this board made a number of
20 policy decisions subjecting the native load to the
21 upgrade policy, distinguishing various categories
22 of investments, approving a methodology that is
23 conservative. Now, is it possible that the Board
24 approved a prudent methodology resulting in
25 conservative results, as you qualify them, simply

1 because the Board made a policy decision to adopt a
2 methodology that would be conservative? That it was
3 a choice made with knowledge and maintained with
4 knowledge over the last fifteen (15) years? Could
5 that be simply, Mr. Knecht, a policy decision to be
6 conservative?

7 A. Yes, I think you would find that possibility laid
8 out at page 9, lines 11 to 17 of my evidence.

9 Q. [150] Now, you did try in your report to speculate
10 on the reason why the Board would have been
11 conservative and, actually, on page 8, it starts,
12 you're trying to understand, I think, why the
13 Board, from a policy perspective, decided to be
14 conservative and you suggest three approaches or
15 three reasons. On page 8, you're suggesting that
16 the Board may have adopted a policy to protect the
17 native load from merchants. On page 9, line 1, you
18 suggest that perhaps the Board anticipated rate
19 decline and on page 9, line 11, as a third
20 possibility, you are suggesting that perhaps the
21 Board "implicitly required new loads to contribute
22 to reliability upgrade costs". These are three
23 reasons, you suggest, that may have driven the
24 Board's decision to adopt a prudent methodology,
25 correct?

1 A. Yes, I think I anticipated you going here.

2 Q. [151] Now, I assume that you are suggesting at the
3 same time that these three bases would be rational
4 and logical bases to justify your reasonable and
5 prudent or conservative approach, correct?

6 A. I think that 1 and 3, the first one and the third
7 one would be logical bases for adopting it. I'm not
8 sure that anticipating rate declines over time
9 would be justified based on my review of the
10 pattern of TransÉnergie's rates over the last five
11 to eight years.

12 Q. [152] Now, I assume that you're not aware of the
13 existence of any decisions suggesting that the
14 Board adopted a conservative approach because it
15 anticipated the rate decline, this is your opinion
16 or it's a speculation, in a sense. It's not based
17 on any decision, correct?

18 A. That's correct. In preparing this, I was trying to
19 understand why the Board had adopted a relatively
20 conservative, perhaps very conservative approach to
21 calculating the maximum investment test and was
22 looking at possibilities and trying to evaluate
23 them.

24 Q. [153] Now, the third solution or the third reason
25 is a reference to a contribution to reliability. I

1 think we've established that you are aware of the
2 fact that reliability improvements are fully rolled
3 in, correct?

4 A. Yes.

5 Q. [154] Now, would you agree, and the Board knew
6 that, obviously, because that's a decision they
7 made at the same time in two thousand two (2002),
8 correct? Mr. Knecht?
9 (10 h 25)

10 A. Yes, yes.

11 Q. [155] Now, in this context would you not agree with
12 me that it is extremely unlikely that investments
13 for load growth were intended to finance
14 reliability improvements? You're saying this as a
15 possible option for conservativeness. You're saying
16 maybe the Board was conservative because it wanted
17 to con... it wanted to introduce a contribution to
18 reliability upgrades. Now, you know and I know that
19 you know, when you wrote your report, that you knew
20 that reliability upgrades were fully rolled in. So,
21 could you tell me why you thought that this could
22 be a reason, since reliability improvements are
23 fully rolled in?

24 A. In establishing an extremely conservative maximum
25 investment policy, by making it extremely

1 conservative, you are in fact saying that you are
2 requiring new customers to make some contribution
3 in excess of the incremental costs that they cause,
4 and by making those contributions in excess of
5 those incremental costs, you are implicitly
6 contributing to what I've been calling the existing
7 system. You are also implicitly contributing to
8 reliability, all of the rolled in costs.

9 Q. [156] And again, this is your speculation. It's not
10 based on any decisions you may have read from the
11 Board. Correct?

12 A. I'm not sure what you're saying is my speculation.
13 I'm not speculating that if you establish a test
14 that is very conservative and results in a maximum
15 investment level that is actually lower than the
16 present value of the revenues that will be produced
17 by the new customer, you are mathematically
18 requiring that new customer to make a contribution
19 to the system.

20 Q. [157] I understand what you're saying, but my point
21 is the following. You're trying to understand why
22 the Board adopted a conservative methodology, and
23 I'm suggesting to you that the Board was obviously
24 aware of the fact that reliability improvements
25 were fully rolled in and that therefore, it is not

1 in the Board's decision that in addition to rolled
2 in all the reliability improvements, the upgrade,
3 the maximum allowance for load growth upgrades were
4 to include an additional measure to cover
5 reliability improvements, in addition to the policy
6 that all reliability improvements are, in any
7 effect, fully rolled in. Correct?

8 A. I don't... I don't have any reference to a Board
9 decision that indicates... I have not reviewed a
10 Board decision where...

11 Q. [158] Yes.

12 A. ... I understand what motivated the Board for
13 establishing this particular test.

14 Q. [159] Is it possible, Mr. Knecht, that instead of
15 speculating on why the Board adopted a methodology
16 that is conservative, perhaps we should read in the
17 Board's decision the reasons why it adopted that
18 methodology? Is it possible that the reason why it
19 adopted a methodology that you've qualified as
20 extremely conservative or conservative, is actually
21 in the decision?

22 A. Yes.

23 Q. [160] Is that possible?

24 A. That would be a reasonable approach. I would agree.

25 Q. [161] Okay.

1 LA PRÉSIDENTE :

2 Maître Dunberry, je m'excuse de vous interrompre...

3 Me ÉRIC DUNBERRY :

4 Oui.

5 LA PRÉSIDENTE :

6 Je ne veux pas vous interrompre dans votre ligne,
7 mais je... Quand ça sera, peut-être, un bon temps
8 pour faire une pause, nous faire un signe?

9 Me ÉRIC DUNBERRY :

10 Deux, trois petites questions additionnelles,
11 Madame la Présidente.

12 LA PRÉSIDENTE :

13 Merci.

14 Me ÉRIC DUNBERRY:

15 Q. [162] Mr. Knecht, maybe the answer is in the
16 decision 2002-095, and I read to you, a moment ago,
17 something to the effect that... And that was,
18 again, on page 298, that the Board wanted to
19 protect existing customers from excessive costs
20 associated with upgrade. Is it possible that what
21 the Board wanted to do is what the Board wrote, and
22 what the Board wrote was that it wanted to adopt a
23 methodology that would protect existing customers
24 from excessive costs associated with an upgrade?
25 Would that be logical, as a reason to adopt that

1 methodology?

2 (10 h 30)

3 A. No. Let me explain. Protecting existing customers
4 from incremental costs only requires that the new
5 customer cover all of the incremental costs. So
6 that if you establish the maximum investment test
7 in such a way that the present value of the
8 revenues from the new customer exactly equal the
9 incremental costs that the transmission
10 administrator will, that the transmission utility
11 will incur, then you have satisfied the goal of
12 protecting the existing customers. However, if you
13 establish the maximum investment arithmetic in such
14 a way that it is requiring the new customer to pay
15 more than the incremental cost. Then you have
16 implicitly included in your test a requirement
17 beyond simply protecting the existing customer, but
18 in fact... and in fact, making a contribution
19 beyond that to the benefit of the existing
20 customers.

21 Q. [163] My question, Mr. Knecht, was trying to
22 understand the Board's rationale. I understand that
23 you may have a different view on certain things,
24 but my point is that you're speculating on why the
25 Board made a decision, and I'm suggesting perhaps

1 we should go and read that decision. And in that
2 decision, there's the reference to the notion of
3 protecting existing clients against excessive
4 costs. Now, I'm simply suggesting that there is a
5 rational connection between a conservative
6 methodology and a willingness or desire to protect
7 existing customers. Would you agree that there is a
8 rational connection?

9 A. I would agree that the more conservative a test
10 there is, the more protection there is for rate
11 payers, but in some sense, you are going beyond
12 protection and you go to a benefit to existing rate
13 payers.

14 Q. [164] Now, my second and last question is again
15 trying to understand why the Régie decided the way
16 it decided. The Régie refers as well to a concept
17 of rate neutrality just above... that we read you
18 and I together. And the Board said, and we read
19 that a moment ago that it recognizes the relevance
20 through the calculation of the maximum allowance.
21 It recognizes a relevance of rate neutrality. Is it
22 possible, Mr. Knecht, that this concept of rate
23 neutrality was for the Board a factor to be
24 recognized through the calculation of the maximum
25 allowance? Could that be again a rational

1 connection?

2 A. Again, I'm not sure that it is because, if in fact
3 you are requiring the new customer to pay more than
4 the incremental cost, both customers who make a
5 contribution and customers who pay the regular
6 tariff rate because that's higher, the net effect
7 of adding that customer will in fact be to lower
8 rates across the system.

9 Q. [165] I noticed, Mr. Knecht, that - maybe I missed
10 a few words but - you do not refer in your report
11 to the concept of rate neutrality as defined by the
12 Board in its decisions. Correct?

13 A. I don't recall using the term.

14 Q. [166] Do you understand that the concept of rate
15 neutrality has been used by this Board in many,
16 many decisions concerning the design of upgrade
17 policies?

18 A. I think, as you've established, I have not read
19 many... many decisions with respect to those
20 decisions on rate neutrality. I understand that it
21 is a concept that the Board has used. And I
22 understand it to mean that we need to establish
23 policies that will not result in negative rate
24 impacts on existing customers.

25 Q. [167] So, my question, which I think is the same as

1 I asked a moment ago, is it possible at all, Mr.
2 Knecht, that the Board, in adopting a methodology
3 for the calculation of the maximum allowance, did
4 exactly what it wrote in its decision? That is to
5 incorporate in the calculation of the maximum
6 allowance, a concept of rate neutrality that you do
7 not address in your report, that is in the
8 decision.

9 A. Is it possible that that was the Board's intent?
10 It's certainly possible that that was the Board's
11 intent. I think the point that I'm making is that
12 the implication of this methodology can either be
13 described as proving a lot of protection to
14 existing rate payers, or perhaps implicitly
15 requiring all new customers to make a contribution
16 to the existing system, thereby having a downward
17 effect on rates.

18 Q. [168] Mr. Knecht, do you understand that your
19 clients, monsieur Vézina et monsieur Boulanger,
20 have dedicated at least twenty-five percent (25%)
21 of their evidence on the notion of rate neutrality?
22 Were you aware of that?

23 A. I understand that they used that in their evidence,
24 yes.

25 Q. [169] Do you agree with your clients' position on

1 rate neutrality?

2 (10 h 36)

3 A. I would have to look at the specifics, and I think
4 I would prefer that my clients defend their
5 evidence.

6 Q. [170] Do you understand what is your client's
7 position on rate neutrality?

8 A. I have not...

9 Q. [171] Mr. Knecht, do you understand your client's
10 position on rate neutrality?

11 A. Not completely.

12 Me ÉRIC DUNBERRY :

13 Je pense, Madame la Présidente, que nous pouvons
14 prendre une pause.

15 LA PRÉSIDENTE :

16 Oui, je vous remercie. Juste à des fins de
17 planification, est-ce que vous en avez toujours
18 pour le temps annoncé?

19 Me ÉRIC DUNBERRY :

20 Nous en avons pour deux cent quarante (240)
21 minutes, Madame la Présidente, nous en avons pour
22 deux cent quarante (240) minutes.

23 LA PRÉSIDENTE :

24 Je vous remercie.

25 Me ÉRIC DUNBERRY :

1 Merci.

2 SUSPENSION DE L'AUDIENCE

3 REPRISE DE L'AUDIENCE

4

5 LA PRÉSIDENTE :

6 Alors, bonjour. Juste quelques notes, avant que
7 vous recommenciez, sur la planification. Alors ce
8 qu'on regardait, alors où on était rendus, on
9 continuerait, bien sûr, avec votre contre-
10 interrogatoire, on prendrait peut-être une heure et
11 quart de pause-lunch et puis on terminerait avec
12 vous, puis la Régie aujourd'hui, avec la preuve de
13 l'AQCIE, et puis ça nous amènerait vers trois
14 heures et quart (3 h 15), trois heures et demie
15 (3 h 30).

16 Alors je doute fortement qu'on passe la
17 preuve d'UC aujourd'hui, alors on commencerait avec
18 UC lundi matin à ce moment-là, juste pour aviser
19 les gens, là, s'il y a des témoins d'UC qui
20 devaient être prêts, je doute fortement qu'on vous
21 passe aujourd'hui, alors voilà.

22 Me ÉRIC DUNBERRY :

23 Non, tout à fait, Madame la Présidente, je pense
24 que, je pense que ça serait ambitieux, je pense
25 que, j'avais, j'ai regardé mes notes à la pause et

1 j'avais annoncé entre trois et quatre heures, je
2 vais prendre les quatre heures, là, je dois vous le
3 dire. Alors ça va nous amener, ma consoeur,
4 d'ailleurs, me minute, elle m'a mis en garde
5 qu'elle me minutait, là, alors...

6 LA PRÉSIDENTE :

7 On avait calculé deux heures et quart (2 h 15),
8 deux heures et demie (2 h 30) à peu près, la fin de
9 votre, avec les deux cent quarante (240) minutes
10 alors...

11 Me ÉRIC DUNBERRY :

12 Oui, ça sera quatre heures, je pense que je suis
13 rendu à une heure et vingt minutes, je pense. Elle
14 me suit à la trace, ma collègue.

15 Me HÉLÈNE SICARD :

16 Une heure vingt.

17 Me ÉRIC DUNBERRY :

18 Une heure vingt.

19 LA PRÉSIDENTE :

20 O.K., alors pas de problème, c'est juste pour, à ce
21 moment-là, je pensais que c'était...

22 Me ÉRIC DUNBERRY :

23 Tout à fait.

24 LA PRÉSIDENTE :

25 ... pertinent d'aviser les témoins d'UC. Voilà,

1 merci.

2 Me ÉRIC DUNBERRY :

3 Et à la pause, Madame la Présidente, j'ai distribué
4 une autre décision, la D-2011-039, qui a également
5 été distribuée à tous les témoins et participants.
6 Alors, Madame la Présidente, avec votre permission,
7 nous poursuivons.

8 Q. [172] Mr. Knecht, a quick question on a issue which
9 I think was raised earlier with other witnesses.
10 Could you please take a copy of the decision that
11 we just gave to all participants, which is Decision
12 D-2011-039, and you will find paragraph 418, and we
13 will then go to 431. At 418, the Board, in that
14 decision, was, and you may start at 417 just for
15 the record, the Board was presented with arguments
16 concerning rate neutrality, and it was said, and I
17 read, in French,

18 [417] Le Transporteur soumet que le
19 concept de neutralité tarifaire
20 appliqué aux Ajouts n'a pas d'écho
21 ailleurs en Amérique du Nord.

22 And the Board decided... and the Board decided, on
23 page 98...

24 Dr. ROBERT D. KNECHT :

25 A. Sorry, could you... could you have that, could you

1 read that paragraph again...

2 Q. [173] Yes, I will.

3 A. ... more slowly and let the translator read back to
4 me more slowly?

5 Q. [174] Yes, I will, I apologize. So 417, and I read
6 again,

7 [417] Le Transporteur soumet que le
8 concept de neutralité tarifaire
9 appliqué aux Ajouts n'a pas d'écho
10 ailleurs en Amérique du Nord.

11 And the Board says, and I quote,

12 [418] Cet argument n'est pas
13 déterminant, étant donné les
14 particularités au Québec où la
15 tarification est territorialement
16 uniforme et où la définition de
17 « réseau de transport » est
18 spécifique.

19 So... so the question, Mr. Knecht, is -- I think
20 you've testified earlier that you will agree that
21 the design of an upgrade policy should reflect the
22 particularities of Québec?

23 A. Yes.

24 (11 h 08)

25 Q. [175] Now, with that in mind, I would like you to

1 take paragraph 431 and I will read that again in
2 French. So, this is after deciding that the upgrade
3 policy should continue to apply to the native load.
4 So the Board was asked to exempt the native load
5 from the application of the policy and the Board
6 decided not to. But then, it said the following,
7 paragraph 431,

8 Par contre, la Régie conçoit que sur
9 une très longue période, les besoins
10 de transport liés à la croissance
11 peuvent requérir des investissements
12 par palier très coûteux ayant des
13 répercussions ponctuelles importantes
14 sur le niveau de la contribution du
15 Distributeur. Dans cette perspective,
16 une certaine souplesse pourrait être
17 envisagée dans les modalités
18 d'application relatives au versement
19 des contributions du Distributeur. Le
20 Transporteur pourrait soumettre une
21 proposition en ce sens.

22 Now, I think you've testified in your report, Mr.
23 Knecht, that you recognise native load growth is
24 gradual over time, it's not overnight that native
25 load materializes, correct?

1 A. Yes, generally.

2 Q. [176] And this paragraph refers to the fact that
3 the investment pattern may be lumpy - to use the
4 expression, I think, that was recognized yesterday
5 in your presentation - and this lumpiness may
6 result in fairly costly steps in the investment
7 patterns where capacity is added or investments are
8 made to accommodate certain load growth
9 requirements, correct?

10 A. Yes.

11 Q. [177] Now, the Board said here that some
12 "souplesse", I would translate this by
13 "flexibility" if that was the word that I had to
14 use, would you agree with the Board that, in this
15 context, after having confirmed that the upgrade
16 policy would continue to apply to the native load,
17 that it is appropriate for this board, as a policy
18 decision, to inject a level of flexibility in the
19 way the maximum allowance is calculated for the
20 native load?

21 A. Yes, as one of the criteria that the Board
22 considers, yes.

23 Q. [178] Monsieur Vézina, monsieur Boulanger, vous
24 seriez d'accord tous les deux également que la
25 façon d'établir l'allocation maximale pour le

1 Distributeur devrait jouir d'une certaine
2 flexibilité, une certaine souplesse au moment du
3 calcul? Monsieur Boulanger, Monsieur Vézina, est-ce
4 que vous avez une réponse pour moi?

5 (11 h 12)

6 M. LUC BOULANGER :

7 R. Bien oui, certainement. On ne peut pas être contre
8 la vertu, n'est-ce pas. Alors, on est certainement
9 d'accord qu'il y a une certaine souplesse. D'autant
10 plus qu'on a mis en preuve que la façon que le
11 Distributeur opère par rapport au point à point,
12 c'est une façon qui est fondamentalement
13 différente. Et il faut avoir justement cette
14 souplesse pour être en mesure de pouvoir avoir une
15 politique qui est comparable entre le point à point
16 puis entre le Distributeur. Alors oui.

17 Mais on maintient quand même notre position
18 que cette souplesse, pour répondre à la question de
19 maître Dunberry, ne vient pas affecter cependant
20 les positions qu'on a prises dans le mémoire sur la
21 question de l'agrégation puis sur la question d'y
22 aller par projet, puis sur la question que ce soit
23 fait de façon annuelle.

24 M. PASCAL CORMIER :

25 R. Excusez-moi, si je pouvais ajouter étant donné que

1 j'ai participé activement à la rédaction du mémoire
2 et la position de l'AQCIE. La proposition de... la
3 notion de souplesse est bien sûr appréciée. On
4 comprend qu'il y a une volonté d'avoir un
5 traitement équitable entre les clients point à
6 point et les clients de la charge locale. Accepter
7 une méthodologie de souplesse qui impliquerait un
8 report de soldes positifs dans le futur pour la
9 charge locale impliquerait, en utilisant cette
10 logique-là, qu'il y a une application identique
11 pour les point à point, qu'il y ait aussi cette
12 souplesse-là pour les clients point à point, ce à
13 quoi, nous, on considère que ça cause un... ça
14 enfreint le principe de neutralité tarifaire. Comme
15 on l'a expliqué dans notre dossier à l'effet
16 d'utiliser des revenus existants pour payer des
17 nouvelles additions. Donc, ça fait... c'est la
18 somme à peu près de... ou en fait, ça résume la
19 position très rapide de notre mémoire.

20 Q. [179] Monsieur Boulanger, Monsieur Vézina,
21 l'agrégation et le report des soldes positifs,
22 selon le calcul effectué par Hydro-Québec,
23 entraînent le paiement d'une contribution
24 additionnelle de quelque quatre cent quarante et un
25 millions de dollars (441 M\$) pour le Distributeur.

1 Vous êtes informé de cela?

2 M. LUC BOULANGER :

3 R. Effectivement. Le problème n'est pas là. Le
4 problème, il faut regarder qu'est-ce que ça apporte
5 au Producteur. Alors, si on applique le même
6 système chez le Producteur, quels sont les montants
7 que le Producteur va bénéficier par cette
8 politique. Et c'est là où on a une difficulté.
9 Alors, ce n'est pas pour rien qu'on a pris la
10 position qu'on... on ne veut pas qu'il y a
11 d'agrégation, puis on veut que ce soit sur une base
12 annuelle, puis on veut que ce soit projet par
13 projet. Ce n'est pas nous qui sommes affectés par
14 ça, c'est le Producteur. C'est notre façon de
15 comprendre le dossier.

16 Q. [180] Et est-ce que vous êtes également informé du
17 fait que, en l'absence de report des soldes
18 positifs, la contribution du Distributeur serait de
19 l'ordre de huit cent dix-neuf virgule neuf millions
20 de dollars (819,9 M\$)? Étiez-vous informé de ça?
21 Autrement dit, le report des soldes positifs est à
22 l'avantage de vos clients. Est-ce que vous étiez
23 informé de cela?

24 R. Juste une minute, là. Alors, si vous permettez,
25 monsieur Pascal Cormier va répondre à la question.

1 Q. [181] Mais avant que monsieur Cormier réponde à la
2 question, juste savoir si, vous, comme le
3 représentant de l'Association, est-ce que vous êtes
4 informé du fait que votre opposition au report des
5 soldes positifs entraîne une hausse de la
6 contribution associée à la proposition du
7 Transporteur de quatre cent quarante-quatre
8 millions (444 M\$) à huit cent dix-neuf millions
9 (819 M\$), donc un peu plus de trois cent soixante
10 millions de dollars (360 M\$)? Est-ce que vous êtes
11 informé du fait que votre opposition a un effet
12 contraire à l'intérêt de vos membres?

13 R. La façon qu'on comprend le dossier, Maître
14 Dunberry, et la position que nous avons prise, est
15 à l'effet qu'il est avantageux pour nos membres que
16 la Régie décide dans le sens de nos
17 recommandations. Alors c'est ça que je vais vous
18 répondre là-dessus, et monsieur Cormier va
19 compléter la réponse.

20 Q. [182] Mais vous étiez informé que...

21 R. J'ai répondu à votre question.

22 Q. [183] Monsieur Vézina, est-ce que vous avez, pour
23 le Conseil, la même réponse?

24 M. PIERRE VÉZINA :

25 R. Écoutez, oui, on était informé. C'était un

1 questionnement pour nous autres, mais je pense
2 qu'il y a derrière ça aussi une forme d'équité, et
3 c'est, je pense, l'orientation qui a été
4 effectivement prise.

5 LA PRÉSIDENTE :

6 Monsieur Vézina, si vous pourriez répéter un peu
7 plus fort. J'ai eu de la misère à entendre votre
8 réponse. Si vous pourriez juste répéter. Je n'ai
9 pas entendu.

10 M. PIERRE VÉZINA :

11 R. En fait, j'ai dit oui, on avait été informé. Mais
12 je pense que, dans notre compréhension globale du
13 dossier, effectivement, je pense que c'était
14 l'orientation à prendre, et le complément de
15 réponse, monsieur Cormier va venir préciser un peu
16 le cadre.

17 (11 h 17)

18 M. PASCAL CORMIER :

19 R. Donc finalement. En réponse à la DDR de la Régie,
20 questions, les deux premières questions, de
21 mémoire, la Régie nous a demandé de spécifier
22 notre... de clarifier notre position par rapport à
23 ce qui arriverait avec le solde, ou enfin les
24 montants qui ont été comme mis sur la glace depuis
25 deux mille six (2006).

1 À cet effet-là, on a répondu que, compte
2 tenu qu'il était difficilement... difficilement
3 possible d'aller rétroactivement en baisse de
4 tarif, comme on le propose de façon prospective,
5 nous avons recommandé que, pour ce qui est du
6 passé, nous adoptions la position qui a été
7 proposée par l'ACEF de l'Outaouais, c'est-à-dire
8 d'utiliser une méthodologie de quarante (40) ans,
9 un calcul sur quarante (40) ans, et aussi utiliser
10 les revenus provenant de la charge... de la hausse
11 de la charge incrémentale réalisée qui s'est
12 produit depuis deux mille six (2006).

13 De façon prospective maintenant, là ce que
14 mes clients ont mentionné, s'applique à l'effet que
15 s'il y a un surplus à une année précise, au même
16 titre que s'il y a des surplus de revenus pour les
17 clients point à point que ces surplus-là aillent en
18 baisse de tarif et ne soient pas reportés, dans le
19 cas des clients point à point, c'est reporté soit
20 pour les remboursements complémentaires à court
21 terme ou éventuellement pour aller à des nouveaux
22 ajouts.

23 Pour ce qui est de la charge locale, ces
24 surplus-là, mettons une année précise, il y a un
25 surplus, ça irait en baisse de tarifs. Et

1 l'allocation allouée serait basée sur les revenus
2 réalisés à chaque année. Puis la somme des
3 investissements, les investissements des ressources
4 et de postes satellites seraient associés. Puis les
5 deux, un dans l'autre, on évaluerait s'il y a un
6 surplus ou non. Et tout ça est dans une fin de...
7 On veut que ce soit traité équitablement.

8 Évidemment, il serait peut-être plus...
9 dans l'intérêt des clients qu'on regarde ça de
10 façon fermée, des clients de la charge locale de
11 dire, on va garder les surplus, on va lisser à
12 travers le temps ça. Mais on s'est dit que si on
13 veut que les clients point à point soient traités
14 de la même façon, on va proposer une méthode qui
15 est juste, c'est-à-dire que s'il y a des surplus,
16 ça va en baisse de tarifs.

17 J'aimerais aussi ajouter un point
18 important. L'allocation qui est faite par le
19 Transporteur est payée à quatre-vingt-dix pour cent
20 (90 %) par la charge locale. Donc, il faut avoir ça
21 en tête aussi. Quand on parle de huit cent millions
22 (800 M\$)... Quatre-vingt-dix pour cent (90 %) de
23 huit cents millions (800 M\$), c'est quatre-vingts
24 millions (80 M\$). Juste mettre en perspective les
25 chiffres, là, aussi.

1 Q. [184] Quand vous dites baisse de tarif, Monsieur
2 Cormier, vous parlez des baisses de tarif de
3 transport, je présume, évidemment?

4 R. Oui, bien sûr.

5 Q. [185] Et, ça, c'est à l'avantage des clients point
6 à point et, comme vous l'avez indiqué, des clients
7 indirectement de la charge locale?

8 R. Comme vous l'avez mentionné, il y a un tarif
9 timbre-poste au Québec. Donc, les clients point à
10 point et la charge locale paient le même tarif.

11 Q. [186] Alors, la recommandation que vous avez faite
12 à vos clients, c'est d'adopter une mesure qui est
13 dans l'intérêt d'un traitement équitable du client
14 point à point, même si, aux termes de votre
15 recommandation, qui semble être endossée par vos
16 clients, le résultat net, c'est que leurs membres
17 vont voir une contribution du Distributeur
18 additionnelle de quelque huit cents quelque
19 millions alors qu'elle pourrait être de quatre cent
20 quarante millions (440 M\$). Est-ce que vous agissez
21 aussi dans l'intérêt des clients point à point,
22 comme Brookfield, ou est-ce que vous agissez dans
23 l'intérêt des membres que vous représentez?

24 R. Premièrement, tous les clients paient la même
25 chose, puis l'objectif de notre intervention, de

1 notre proposition est que tout le monde soit traité
2 de façon équitable. Si jamais il y a des
3 différenciations qui doivent être apportées aux
4 méthodes de, soit d'un type de client ou l'autre,
5 ça ouvre la porte, comme il a été mentionné, dans
6 la décision que vous venez de nous faire parvenir,
7 la D-3738-2010, s'il y a une modification comme il
8 avait été demandé à l'époque, la charge locale soit
9 traitée différemment, ça ouvrirait la porte à avoir
10 un revenu requis différent pour chaque type de
11 client. Puis je ne pense pas que c'est l'intention
12 de la Régie depuis deux mille deux (2002).

13 Je pense que l'intention de la Régie avec
14 l'inclusion des équipements de type « generator
15 lead », c'est-à-dire les équipements associés aux
16 actifs de transport, les grandes lignes qui vont au
17 nord, ont été inclus dans le revenu requis de tous.
18 Et je pense que c'était... mon interprétation du
19 moins des décisions passées à l'effet que tout le
20 monde ait le même traitement. Donc, non, je n'ai
21 pas en tête les intérêts des clients point à point.
22 J'ai les intérêts de la charge locale qui sont
23 traités de la même façon.

24 Q. [187] On va poursuivre cette discussion-là, Mr.
25 Knecht, I'd like to get back to your report, to

1 make a connection between our current conversation
2 and your report. Could you please now go to...

3 Well, actually, maybe there is no need to go
4 anywhere, perhaps you will be able to answer these
5 questions fairly quickly. Now, I understand that
6 your clients are asking that the maximum allowance
7 for the native load be calculated using a forty
8 (40)-year term depreciation. Correct?

9 (11 h 23)

10 MR. ROBERT D. KNECHT:

11 A. That is my understanding of their proposal, yes.

12 Q. [188] And you support that view, I assume?

13 A. In my evidence, my recommendation was that the
14 arithmetic in the maximum investment test and the
15 arithmetic in the levelized cost test both use the
16 same economic parameters. With respect to the forty
17 (40)-year treatment, in calculating the maximum
18 investment, I would say that I believe that that is
19 more consistent with the period over which you
20 would expect to receive incremental revenues from
21 native load customers than is the twenty (20)-year
22 period. The use of a twenty (20)-year mechanism
23 makes the maximum investment test more
24 conservative.

25 Yesterday, what I recommended was that the

1 Régie reconsider, in light of the evidence that's
2 presented in this proceeding, whether or not the
3 existing maximum investment test is too
4 conservative. I also recom... I retained my
5 recommendation that the mechanics, the economic
6 parameters that are built into the levelized cost
7 test and the maximum investment test be consistent.
8 My understanding of the levelized cost test is that
9 revenues are considered for the duration of the
10 contract, which can be longer than twenty (20)
11 years, in supporting incremental investment.

12 One way to harmonize the economic
13 parameters would be to extend the duration of the
14 maximum investment test to forty (40) years. The
15 other way would be to modify the levelized cost
16 test such that revenues beyond twenty (20) years
17 from point-to-point customers are not used to
18 justify incremental rolled-in investments by the
19 transmission administrator.

20 Q. [189] Okay. Let me try again, Mr. Knecht, and I
21 refer you to paragraph 23 of your report. And while
22 you go there, I will ask your client a fairly
23 simple question. Monsieur Boulanger, Monsieur
24 Vézina, est-ce que, oui ou non, vous demandez à la
25 Régie d'utiliser un terme de quarante (40) ans pour

1 calculer l'allocation maximale? Oui ou non?

2 M. LUC BOULANGER :

3 R. Bien, en fait, c'est la recommandation qui nous a
4 été faite. C'est dans ce sens-là qu'on s'est
5 orienté, oui.

6 Q. [190] Écoutez, vous êtes le client, Monsieur
7 Boulanger, est-ce que c'est ce que vous demandez,
8 oui ou non, au nom de vos membres? C'est vos
9 membres qui vont payer, là. Alors je vous demande,
10 est-ce que vous, Monsieur Vézina, Monsieur
11 Boulanger, est-ce que vous demandez à la Régie...
12 Monsieur Cormier peut avoir ses demandes et ses
13 exigences, mais vous, le client, est-ce que vous
14 demandez à la Régie d'utiliser, oui ou non, un
15 terme de quarante (40) ans pour le calcul de
16 l'allocation maximale pour la charge locale?

17 M. PIERRE VÉZINA :

18 R. C'est ce qui est inscrit dans notre recommandation.

19 Q. [191] Monsieur Boulanger?

20 M. LUC BOULANGER :

21 R. Bien, même chose.

22 Q. [192] Et vous recommandez également le quarante
23 (40) ans pour le calcul de l'allocation maximale
24 pour les clients point à point. N'est-ce pas?

25 R. Bien, je pense que notre position, c'est l'équité

1 entre les deux. Le point à point et la charge
2 locale.

3 Q. [193] Alors c'est quarante (40) ans pour le point à
4 point et la charge locale, c'est ce que vous
5 demandez à la Régie.

6 R. C'est ma compréhension. Hein? Voilà.

7 Q. [194] Bon. Monsieur Knecht. Page... Page 33 of your
8 report. This is what I read. Lines 10 and 11:

9 HQT's calculation of the maximum
10 investment credit for native load
11 should be based on a 40-year term.

12 So, again, my understanding is that you are
13 recommending to the Board that the native load
14 maximum allowance be based on a forty (40)-year
15 term. Is that correct, based on what I just read?

16 MR. ROBERT D. KNECHT:

17 A. As I said yesterday, I've updated my
18 recommendations based on the information that I've
19 gained since then, and the recommendations that I
20 presented yesterday are my current recommen... are
21 my recommendations at this... are my
22 recommendations.

23 Q. [195] So you are no longer recommending a forty
24 (40)-term. It's an option among others.

25 A. Correct.

1 Q. [196] Thank you. I'd like to refer you now to
2 page... term, it is an option among others?

3 A. Correct.

4 Q. [197] Thank you. I would like to refer you now to
5 page 8 of your report, where there is a calculation
6 of the maximum allowance. And I understand from
7 your report, Mr. Knecht, that you are also
8 recommending that the maximum allowance be
9 calculated not using a revenue requirement but
10 using a flat tariff rate over the period of twenty
11 years in that table, and there is a second table
12 later that we will see over forty years.

13 But I understand that you are using here,
14 in this table, a levelized revenue corresponding to
15 a flat tariff over twenty years, correct, this is
16 the value of seventy-four sixty-five (\$74.65) that
17 we see twenty times, correct?

18 A. Let me make a couple of points, because again, this
19 goes to the modification that I made in my
20 recommendations yesterday. This calculation, that
21 is shown here on this table, is based on, as you
22 say, a levelized cost methodology; it is
23 economically consistent with the levelized cost
24 methodology that, I understand, Hydro-Québec
25 Transmission is proposing with respect to the

1 revenue sufficiency test for point-to-point
2 customers.

3 Also, based on my reading of Ms. Chang's
4 evidence, this approach is conceptually consistent
5 with the way the annual rates would be calculated
6 in an incremental cost methodology in the United
7 States.

8 Q. [198] Now...

9 A. Please. My concern in drafting this evidence was
10 that there appeared to be different treatment
11 embedded in the economic parameters of customers
12 subject to the maximum investment test, which I
13 understood to be the controlling mechanism for
14 native load, and the economic parameters in the
15 levelized cost test, which I understood to be the
16 controlling test for point-to-point customers, and
17 that the key aspect of my recommendation was that
18 those tests be consistent.

19 I suggested that the easiest way to do that
20 would be to adopt a forty-year period for the
21 maximum investment test, that is fix the maximum
22 investment test so that it is the same as the
23 levelized cost test. You could do it the other way,
24 you could go to the levelized cost test and change
25 those parameters such that they are consistent with

1 the maximum investment test. Either approach would
2 address the concern I had in my evidence.

3 Q. [199] Okay. That is very useful, thank you, Mr.
4 Knecht. We will come back to this in a moment but
5 again, just to establish the basis for our
6 conversation...

7 A. I was afraid of that.

8 Q. [200] Yes. So when I look at Table 8, you and I
9 will confirm that the actual allowance that you
10 would be offering to a potential client would be
11 seven hundred and forty dollars a kilowatt
12 (\$740/kW), correct, after O&M and taxes, correct,
13 according to this calculation?

14 A. All other factors being equal. If the only change
15 you made...

16 Q. [201] Yes.

17 A. ... to the existing mechanism was to switch from a
18 first-year approach to a levelized approach, yes.

19 Q. [202] And that would be an increase in the maximum
20 allowance, and we see this number on the top of the
21 table of twenty-three point seven percent (23.7%),
22 correct, as opposed to five ninety-eight (598)?

23 A. Yes.

24 Q. [203] Okay. Now you are also suggesting, in the
25 report, subject to the comments you made yesterday,

1 but you are also suggesting in the report that the
2 maximum investment could be established using a
3 forty-year recovery term as opposed to a twenty-
4 year recovery term, and in that case, the maximum
5 allowance would again be increased, correct, if you
6 keep everything else equal, that's correct?

7 A. Yes, yes, yes.

8 Q. [204] Now if you combine these two measures, and I
9 believe we see this in one of your schedules, if
10 you combine these two measures, you, and this is
11 Schedule 1 of your report, there is a table there
12 that we see the calculation for a maximum allowance
13 using a forty-year term, and using a flat tariff
14 rate, this is at the end of your report, under
15 Schedule 1; we see that the maximum allowance using
16 a combination of these two factors...

17 (11 h 34)

18 Me ÉRIC DUNBERRY :

19 Madame la Présidente, c'est presque à la toute fin,
20 c'est une table, c'est schedule 1, it says schedule
21 1 but it's schedule 2.

22 THE PRESIDENT:

23 It's schedule 1.

24 Me ÉRIC DUNBERRY :

25 Elle a l'air de ceci, Madame la Présidente.

1 LA PRÉSIDENTE :

2 Après le cv, O.K., c'est beau.

3 Me ÉRIC DUNBERRY :

4 Oui.

5 LA PRÉSIDENTE :

6 C'est beau. Merci.

7 Me ÉRIC DUNBERRY :

8 C'est à la toute fin.

9 Q. [205] So, Mr. Knecht, if I look at that table, we
10 see two things: we see a flat tariff rate of
11 seventy-four sixty-five (74.65), we see forty (40)
12 years going by and, at the bottom right corner, we
13 see nine sixty-nine (969), correct?

14 A. Yes, you also actually see it right there at the
15 top.

16 Q. [206] That's right. And we also understand that
17 this would be an increase from five ninety-eight
18 (598) based on a revenue requirement over twenty
19 (20) years to nine sixty-nine (969) would be a flat
20 rate over forty (40) years which, the sum of which
21 would, combined, give you an allowance of nine
22 sixty-nine (969) all else being equal, correct?

23 A. Yes. You've changed two parameters and that would
24 have that effect.

25 Q. [207] And that, according to my calculator, is a

1 sixty-two percent (62%) increase or about three
2 hundred and seventy-one dollar per kilowatt
3 (\$371/KW), correct?

4 A. Yes. Just to be clear, because you've introduced, I
5 haven't checked that percentage and I will take
6 your percentage calculation subject to check. I
7 believe the twenty-five point six percent (25.6%)
8 increase that's reported here on the top of that
9 table compares to the, if I recall this table
10 correctly, compares to the Hydro-Québec calculation
11 at forty (40) years so I was more comparing apples
12 to apples.

13 Q. [208] Okay. But Hydro-Québec's proposal is five
14 hundred and ninety-eight dollars a kilowatt
15 (\$598/KW), your proposal, assuming that, at the end
16 of the day you maintain that proposal, is nine
17 sixty-nine (969), that's an increase of sixty-two
18 percent (62%) of the maximal allowance. This is
19 pure maths, we agree on that?

20 A. Yes.

21 Q. [209] Okay. Now, you would agree that if the word
22 "conservative" describes a few realities, this is
23 quite a significant raise in the maximum allowance
24 of sixty-two percent (62%), correct?

25 A. Yes.

1 Q. [210] Okay. Now, this would have the effect, if I
2 understand, of considerably reducing the
3 contribution that the Distributor would have to
4 pay, all else being equal, for a given project. He
5 would actually raise his allowance by sixty-two
6 percent (62%) and he would reduce its contribution
7 for the same project, all else being equal,
8 correct?

9 A. Yes, it would have that effect for anyone subject
10 to the maximum investment test.

11 Q. [211] And obviously, that would be in the interest
12 of your clients' clients or members?

13 A. Well, yes, it would. As I think Mr. Cormier pointed
14 out, the native load picks up the vast majority of
15 rolled in costs as well so while there's a big
16 effect on the maximum contribution reducing the
17 Distributor's contribution, you end up rolling all
18 of those costs back into regular rates, most of
19 which get assigned to native loads so...

20 Q. [212] But you get some assistance from the point to
21 point customers up to, let's say, ten percent
22 (10%), correct?

23 A. I'm not disputing that there would be some net
24 reduction to the native load, I would agree.

25 Q. [213] Let's say ten percent (10%), for purposes of

1 our conversation, this would allow your clients to
2 save more or less ten percent (10%), all else being
3 equal, correct?

4 A. Ten percent (10%)?

5 Q. [214] Five or ten percent (10%). I don't want to...

6 A. Ten (10) relative to what? On their bills?

7 Q. [215] Overall payment of tariffs. Okay, it's...

8 A. I have not done those calculations.

9 Q. [216] Okay.

10 A. I don't know.

11 Q. [217] That's alright. That's alright. You and I
12 agree that there would be a difference?

13 A. Yes.

14 Q. [218] Okay.

15 A. I agree that there would be a reduction in the
16 direct contribution from the Distributor. There
17 would be an increase in the investment required
18 from the Transporter and that the increase in the
19 investment from the Transporter would be split
20 between the Distributor and the point to point
21 customers.

22 Q. [219] Now, just to illustrate the point, Mr.
23 Knecht, there is some, and obviously I didn't want
24 to introduce new evidence so I went back to the
25 exhibit HQT-3, Document 1.1.1 and this is just an

1 illustrative numerical example. What you have here
2 is using data that we have on the file, that under
3 the current methodology, for a project costing
4 about one point eight billion dollars (\$1.8 B) to
5 which is associated one point five five megawatt
6 (1.55 MW) over twenty (20) years using - and these
7 are two thousand ten (2010) numbers because you're
8 going back two thousand ten (2010) - in this case
9 it was five ninety-six (596) but that's close
10 enough to five ninety-eight (598). You have a
11 rolled in amount of nine twenty-three point eight
12 million dollars (\$923.8 M) and a contribution of
13 nine hundred and eighteen million dollars (\$918 M).
14 (11 h 39)

15 Under your proposal, for the same load and
16 the same cost for a project using a forty year (40)
17 with a flat rate, net present value, at nine sixty-
18 nine (969), which is not exactly the right number
19 because again, it's derived from five ninety-eight
20 (598) and not five ninety-six (596), we see
21 essentially a split of sixty-two percent (62%)
22 going one way, and the other sixty-two percent
23 (62%) going in the other direction. That is, in
24 that case, the point-to-point client would have
25 contributed only three hundred and forty-two

- 1 million dollars (\$342 M) as opposed to one point
2 five billion (1.5 B). As opposed to nine hundred
3 and eighteen million dollars (\$918 M). Correct?
4 This just illustrates the order of magnitude of
5 your suggestion. Correct, Mr. Knecht? This is pure
6 math. There is nothing more than math.
- 7 A. That is, I believe, what this appears to be, which
8 is...
- 9 Q. [220] So, what this...
- 10 A. I'm sorry. Let me state what my understanding is.
- 11 Q. [221] Yes.
- 12 A. Is that what you have taken is you have taken a one
13 thousand five hundred and fifty megawatts
14 (1,550 MW), or one point five five million
15 kilowatts (1.55 M kW), multiplied it by five
16 hundred and ninety-six dollars per kW (\$596/kW),
17 got a maximum allowance of nine hundred and twenty-
18 three point eight million (923.8 M), subtracted
19 that from the long number, one point eight four two
20 million (1.842 M), and got nine hundred and
21 eighteen million (918 M).
- 22 Q. [222] Yes. It's all in the file. These numbers
23 are...
- 24 A. And then, and you did a similar calculation. And
25 just using those two parameters and limiting it

1 only to those factors, subject to not having a
2 calculator and not trusting my head to do math, or
3 not to do arithmetic, I understand this table.

4 Q. [223] Okay. Now, all this to say that if your
5 approach had been in place in two thousand ten
6 (2010), or at the time this was calculated exactly,
7 the net result would have been an increased, or a
8 differential increase in TransÉnergie's rate base
9 of five hundred and seventy-six million dollars
10 (\$576 M). Correct?

11 A. Yes. For these... For these numbers.

12 Q. [224] Do you know what that situation is? Do you
13 know what this is?

14 A. My understanding, just looking at the numbers and
15 having been here for the past few days, is that
16 this appears to be the numbers related to La
17 Romaine, and it's assuming that the one point five
18 five gigawatts (1.55 GW) of Romaine capacity is
19 revenue-generating. And therefore should be
20 allowed... should be given the full credit for the
21 generating capacity in the maximum allowance.

22 Q. [225] Now, Mr. Knecht, coming back to your table
23 8... Je vais tout coter les pièces à la toute fin.
24 Oui. Mr. Knecht, I'd like to bring you back to your
25 table on page 8 of the report, and I'd like to just

1 really look at what it represents in terms of
2 calculation. Now, you understand that the last
3 approved tariff is seventy-four sixty-five dollars
4 a kilowatt (\$74.65/kW), correct?

5 A. Yes.

6 Q. [226] Now, looking at column 8, which is the
7 revenue requirement, the revenue requirement is the
8 revenue required to pay back the unit investment
9 of, in this case, seven hundred and forty dollars
10 (\$740). Correct? On a twenty year (20) year basis,
11 on a twenty year (20) period.

12 A. I'm sorry, the... the revenue requirement is
13 ninety-two dollars and thirty-six cents (\$92.36),
14 is...

15 Q. [227] And it's going down?

16 A. Yes.

17 Q. [228] To zero, and the concept here is to calculate
18 the revenue required to cover a unit investment of
19 seven hundred and forty dollars (\$740) over twenty
20 (20) years. Correct?

21 A. Yes.

22 Q. [229] Okay. Now, we see that for the first seven or
23 eight years, from two thousand fourteen (2014) and
24 two thousand twenty-one (2021), the tariff, or the
25 revenue requirement to cover your seven hundred and

1 eighty dollars a kilowatt (\$780/kW) investment is
2 actually above the last approved tariff. If you
3 look at the column, it starts at ninety-two point
4 thirty-something, and year two thousand twenty-one
5 (2021), it is at seventy-six point twenty-seven
6 (76.27). So, for the first eight years, from two
7 thousand fourteen (2014) to two thousand twenty-one
8 (2021), the revenue requirement to cover the unit
9 investment of seven hundred and forty dollars
10 (\$740) is actually above the current tariff of
11 seventy-five sixty... seventy-four sixty-five
12 (74.65). Correct?

13 A. Yes. This phenomenon would occur in any... for any
14 utility that... or almost any utility, most
15 utilities that would use this kind of a mechanism.
16 It's a nature of the difference between the rates,
17 which tend to be flat, and the utility revenue
18 requirement, which tends to be declining. So that
19 in order to meet the requirement that the net
20 present value of revenues equals the costs upfront,
21 you need to have some years, when you're paying
22 flat revenues, in which the revenues are below the
23 revenue requirement, and some years in which they
24 are above.

25

1 (11 h 44)

2 Q. [230] So what...

3 A. It's simply... It is an aspect to this that is
4 recognized by utilities who use this kind of
5 mechanism.

6 Q. [231] I understand your...

7 A. That it will have, that it can have an upfront, for
8 the first year or first set of years, a negative
9 impact on rates, after which it has a positive
10 impact on rates. Such that overall, the effect is
11 neutral.

12 Q. [232] I understand that. And actually, this is...
13 this is probably driven by your software, and the
14 Excel software that is being used, but
15 mathematically, what this means is that in order to
16 recover, in order to recover the seven hundred and
17 forty dollars (\$740) over twenty (20) years, you
18 have to allow - and this is just math - you have to
19 allow the revenue requirement to go above the
20 tariff for the first eight years. You have to
21 allow, to recover seven forty (740), pure math, you
22 have to allow for an actual revenue requirement,
23 you have to allow it to go above the seventy-four
24 sixty-five (74.65), at least for eight years.
25 Correct?

1 A. That's... That's what I just said, yes.

2 Q. [233] Okay.

3 (11 h 46)

4 M. PASCAL CORMIER :

5 R. Excusez-moi, Maître Dunberry. Étant donné qu'on est
6 en panel, je vais en profiter pour... Par rapport à
7 la pièce que vous avez déposée, premièrement, c'est
8 difficile pour nous de faire des analyses à brûle-
9 pourpoint. Ça ressemble plus à une DDR, mais...
10 Concernant les montants de contribution qu'on voit
11 à la droite du tableau, selon notre proposition, il
12 y avait un nouveau Romaine, parce que la Romaine,
13 c'est déjà une décision qui a été rendue. On
14 comprend. La contribution serait de zéro s'il n'y a
15 pas de revenus supplémentaires. Juste pour mettre
16 ça en perspective. Et aussi...

17 Me ÉRIC DUNBERRY :

18 C'est que...

19 M. PASCAL CORMIER :

20 ... juste ajouter aussi que la méthodologie ou les
21 allocations demandées pour les projets du
22 Distributeur auraient la même méthodologie aussi.

23 Me ÉRIC DUNBERRY :

24 Q. [234] So, Mr. Knecht, back to you. All else being
25 equal - and I know you know what that means - it

1 appears that because of the revenue requirement is
2 above the current tariff for the first eight years,
3 the tariff for all clients in these early years is
4 likely to increase once the upgrade is rolled in.
5 Correct?

6 A. Yes, when you're only looking at the one project.
7 Obviously, as time goes on, you start to have a set
8 of different projects such that a project that was
9 done ten (10) or twelve (12) years ago would be
10 having a positive impact on rates and it might be
11 offset by the new project which is having a
12 negative impact on rates. And over the course of
13 the entire period that is studied, the effect is
14 neutral. But, yes, some years will be different. I
15 mean, it will have a year-by-year effect; some
16 years positive, some years negative.

17 Q. [235] But you agree that when this rate neutrality,
18 in your case, is to be achieved withing a twenty-
19 year (20) period; it's not achieved in the early
20 years. It requires an actual use of the full period
21 of twenty (20) years. Correct?

22 A. Yes.

23 Q. [236] Okay. Now, would you also agree that under
24 HQT's proposal, there's an increased likelihood
25 that the rate will go down, as opposed to your

1 methodology which does not allow the rate to go
2 down mathematically? It's a breakeven over twenty
3 (20) years, there's no likelihood of the rate going
4 down when it's compared to HQT's approach which
5 only sets the tariff at the amount of the actual
6 revenue requirement for the first year, and all the
7 other years, the revenue requirement is below the
8 tariff.

9 A. Yes, I think that's what we discussed for quite
10 some time this morning, which is that the first-
11 year method essentially requires a customer who is
12 making a contribution to contribute to the existing
13 system and will have a depressing effect on rates.

14 Q. [237] Now, do you think that this is consistent
15 with the notion of rate neutrality that was
16 introduced by the Board in two thousand two (2002)?

17 A. I don't want to take a position on what the Board
18 meant by rate neutrality. Personally, in evaluating
19 one of these, I would try to evaluate whether it's
20 rate neutral over the period that's being evaluated
21 rather than requiring it to be rate neutral every
22 year. However, you know, if the standard is that it
23 needs to be, you know, that it... And remember,
24 rate neutrality, I think, could be interpreted as
25 not... either not reducing or not increasing rates.

1 I don't know what neutrality means but my
2 understanding would be, you have no impact on rates
3 at all, and that's just not possible for every year
4 within this kind of a mechanism.

5 Q. [238] But you and I will agree that rate neutrality
6 doesn't mean an obligation to reduce rates. It
7 could be neutral.

8 A. Yes. Yes, I would agree with that.

9 Q. [239] And you also agree that it's not a year
10 business. It's an annual... it's an exercise over
11 twenty (20) years. Correct? That's what you're
12 doing.

13 A. Yes.

14 Q. [240] Now, if you go to your report on page 9,
15 lines 5 to 7, you have a reference here to the
16 actual rates from two thousand... over fourteen
17 (14) years. Line 5, it starts and you say:

18 However, HQT's evidence in the
19 R-3903-2014 proceeding shows that the
20 per-kW charge has been reasonably
21 constant [...] over the past 14 years,
22 starting at \$72.91 in 2001 and
23 proposed at \$74.82 for 2015.

24 Is it possible that this stability in rates is in
25 fact, at least in part - but I suggest it's

1 probably more than just in part but - at least in
2 part, directly related to the fact that this Board,
3 for the last fourteen (14) years has adopted a
4 methodology that is consistent with rate neutrality
5 as defined in the D-2002-095 and that the fact that
6 what you observed as being fairly stable and
7 constant rates is the direct result of the fact
8 that this board adopted a methodology that is
9 prudent and conservative. The result of the
10 adoption of what is being described as a
11 conservative methodology, would you agree with me?
12 (11 h 29)

13 A. I would certainly agree that it's possible. I would
14 also agree that directionally, to the extent that
15 the policy has been implemented and has had a
16 significant effect on investments, that the net
17 effect would be to have rates be lower than they
18 otherwise would. How much of that has contributed
19 to the pattern, obviously, I don't know the answer
20 to because it would involve a significant
21 quantitative assessment and there are so many other
22 factors going on. But, directionally, it's been my
23 position all morning that the more conservative the
24 test, the bigger the contribution of new customers
25 and the lower the rates would be, all other factors

1 being equal.

2 Q. [241] Now, to be honest, I'm not sure exactly what
3 you are now, today, recommending to the Board -
4 we'll come to that in a second - but your clients,
5 your clients are recommending that we use a nine
6 sixty-nine dollar per kilowatt (\$969/KW) allowance
7 for the native load and the point to point
8 customers, which is the result of a forty (40) year
9 depreciation term with a levelized flat revenue
10 calculation.

11 Now, I'm asking you the following question:
12 if your clients' request had been granted in two
13 thousand two (2002) and that for the last fourteen
14 (14) years, instead of whatever the amount was up
15 to five ninety-eight (598), the amounts used for
16 the maximum allowance had been sixty-two percent
17 (62%) above the amounts that the Board authorised,
18 would you not agree with me that the rates would
19 probably have been higher than what we observed
20 today conceptually, directionally, all else being
21 equal?

22 A. I would agree with you, yes.

23 Q. [242] Now, sixty-two percent (62%) is quite a
24 sudden and drastic change in an approach. You know,
25 from twenty (20) to forty (40), from levelized to,

1 from a declining rate to a flat rate, are you
2 aware... Let me ask you the question: do we find
3 anything in your evidence or anything in your
4 clients' evidence as to the existence of a change
5 in the environment that would - well, a change in
6 the electricity markets, a change in the commercial
7 environment, a change in the regulatory environment
8 - that would justify a drastic and sudden change in
9 methodology? You understand my question? You're
10 suggesting a drastic and fairly sudden change in
11 methodology - is there anything in the evidence
12 that suggests that something somewhere has changed
13 in the last fourteen (14) years that would justify
14 that change today? As opposed to having a different
15 view on things.

16 A. Speaking for myself, I have not tried to identify
17 anything that would justify such a change but,
18 again, remember what my recommendation is, is that
19 I think that the different tests that apply to
20 different kinds of customers should be based on the
21 same economic parameters.

22 Q. [243] We'll get to there, I promise, Mr. Knecht,
23 we'll get to that main point. But my...

24 A. And let me say in general, I would certainly agree
25 with you that substantial changes all at once are

1 not something that regulators do very often.

2 Q. [244] You agree with that? Especially when there is
3 no evidence of a different environment, correct?

4 A. Well...

5 Q. [245] Usually, sudden changes react to sudden
6 change of events, drastic changes is a reaction to
7 a drastic change of an event. I'm suggesting to you
8 that nothing has changed and, therefore, a change
9 of methodology is baseless at this point. Would you
10 agree with that, looking at your evidence and your
11 clients' evidence, Mr. Knecht?

12 A. I did not identify anything that would justify,
13 that there is a change in the overall environment
14 for electricity service in Québec that would say
15 this change should be made. What I was basing my
16 recommendation on was attempting to use comparable
17 calculations for different sets of customers.

18 (11 h 57)

19 Q. [246] Often regulators are asked to fix problems,
20 Mr. Knecht, was there something wrong in the last
21 twelve (12) years that we all missed?

22 A. My concern with - and I guess I've said it too many
23 times now - with the file proposal that triggered
24 my recommendations in my evidence was that it
25 appeared to me, it was my understanding that

1 different kinds of economic tests were being
2 applied to different kinds of customers.

3 Q. [247] Now...

4 A. And that that was and should be a concern to the
5 Régie.

6 Q. [248] We'll come to that, Mr. Knecht. Again, my
7 understanding is that the forty (40) years would
8 apply to both native load and point-to-point
9 customers.

10 A. And on the principle of avoiding undue
11 discrimination, yes.

12 Q. [249] And the same maximum allowance would be
13 calculated for both native load and point-to-point
14 customers.

15 A. If you keep the basic mechanism, yes.

16 Q. [250] Now, if we keep a forty year (40) term for
17 point-to-point customers, would that mean clients,
18 such as Brookfield or NLH, would be essentially
19 forced to enter into longer term contracts? I just
20 want to know... understand if you make a connection
21 between the direction of their service agreements
22 and the forty year (40) term... If, for instance,
23 for the calculation...

24 A. I understand. I understand the question.

25 Q. [251] Point-to-point customers would be provided an

1 allowance based on a forty year (40) recovery term.
2 Do you think that would incentivize or require that
3 point-to-point customers enter into longer term
4 contracts?

5 A. It would not require it. But I believe, as the
6 Chairman raised, one of the other days of the
7 hearings, that point-to-point customers under the
8 maximum allowance policy have an economic incentive
9 to enter into longer term contracts because the
10 longer the term of the contract, the higher the
11 maximum investment level that the transmission...
12 the Transmitter would be willing to make on behalf
13 of that customer because there are more years of
14 revenues. If now you extend the maximum term, then
15 yes, it does in fact extend the benefit of a longer
16 term contract out beyond twenty (20) years.

17 Q. [252] Now, monsieur...

18 A. All other things...

19 Q. [253] Yes?

20 A. ... again all other things being equal.

21 Q. [254] Now, monsieur Clermont and, I believe,
22 monsieur Verret said earlier this week that it is
23 in and of itself, aside from the financial
24 consideration, that it is in and of itself
25 beneficial to all clients that the... that

1 TransÉnergie benefits from stability in rates and
2 revenues and foreseeability in flows of income. And
3 that should be also a design factor for the upgrade
4 policy, that the upgrade policy should contain
5 elements of the nature of an incentive to enter
6 into longer term contracts on the basis that it
7 provides stable, foreseeable revenues. I guess from
8 your answers that you would not be opposed to that
9 notion.

10 A. My answer was that there is an incentive there now
11 for longer term contracts. And I don't think that
12 there's anything wrong with that particular
13 incentive because that one makes sense. It's
14 sending the right signals to new customers. If they
15 are willing to enter into longer term agreements
16 and provide assurance to the Transmitter that they
17 will be providing revenues for a longer period of
18 time on which the Transmitter can rely, then that's
19 a good thing. And that they should... and that the
20 maximum investment should reflect that.

21 Q. [255] And the upgrade policy should continue to
22 contain this incentive. That would be good policy
23 making. Because it provides stability.

24 A. I don't know how it would not contain that kind of
25 feature. That probably wasn't clear.

1 Q. [256] No.

2 A. The... I think a sensible contribution policy will
3 reflect that customers who commit to longer terms
4 should be allowed to have a greater amount of
5 investment made on their behalf by the transmission
6 utility.

7 (12 h 02)

8 Me ÉRIC DUNBERRY :

9 Madame la Présidente, je vois l'heure. J'allais
10 changer de sujet. Nous pourrions peut-être nous
11 revoir après la pause si vous êtes disposée à
12 prendre la pause maintenant. Je peux, par ailleurs,
13 continuer. Nous avons encore du travail. Mais les
14 choses progressent correctement, je dirais.

15 LA PRÉSIDENTE :

16 Je prendrais la pause lunch maintenant. On la
17 prendrait pour un heure et quart. On reviendrait
18 donc à une heure et quart (13 h 15). Cependant,
19 avant de partir à la pause, les difficultés de
20 bilinguisme peut-être. Dans votre pièce où vous
21 indiquez dans la pièce qui n'est pas encore
22 cotée...

23 Me ÉRIC DUNBERRY :

24 Oui.

25 LA PRÉSIDENTE :

1 ... vous indiquez que vous avez pris ces chiffres-
2 là à la pièce HQT-3, Document 1.1.1 page 36. Pour
3 moi, HQT-3, c'est la pièce B-11, donc la preuve
4 complémentaire, et ça arrête à la page 28. Alors,
5 si vous pouviez juste m'indiquer là où ces
6 chiffres-là ont été pris.

7 Me ÉRIC DUNBERRY :

8 HQT-4.

9 LA PRÉSIDENTE :

10 HQT-4. D'accord.

11 Me ÉRIC DUNBERRY :

12 Une petite coquille s'est glissée. Désolé!

13 LA PRÉSIDENTE :

14 Il n'y a pas de problème. Ça va juste nous
15 permettre de faire la recherche. Vous allez coter,
16 j'imagine, le tout à la fin?

17 Me ÉRIC DUNBERRY :

18 Oui, pour ne pas interrompre le rythme.

19 LA PRÉSIDENTE :

20 Pas de problème.

21 Me ÉRIC DUNBERRY :

22 Lorsqu'on aura terminé, Madame la Présidente, si
23 vous êtes à l'aise, on va prendre trois secondes et
24 on cotera tout d'un coup.

25 LA PRÉSIDENTE :

1 Pas de problème. Alors on va suspendre pour
2 l'instant, puis on reviendra en fait à une heure et
3 vingt (13 h 20).
4 Me ÉRIC DUNBERRY :
5 Merci. Bon lunch.
6 LA PRÉSIDENTE :
7 Merci. Au revoir.
8 SUSPENSION DE L'AUDIENCE
9 REPRISE DE L'AUDIENCE
10
11 (13 h 20)
12 LA PRÉSIDENTE :
13 Alors, Maître Dunberry, bonjour.
14 Me ÉRIC DUNBERRY :
15 Rebonjour, Madame la Présidente.
16 LA PRÉSIDENTE :
17 Alors, juste pour vous dire, je ne doute pas des
18 capacités de maître Hivon de vous ramener à l'ordre
19 si...
20 Me ÉRIC DUNBERRY :
21 Deux heures quinze (2 h 15). Elle m'a donné mon
22 chronomètre.
23 LA PRÉSIDENTE :
24 O.K. Moi j'avais calculé quatorze heures quarante
25 (14 h 40), il faudrait que ça soit terminé.

1 Alors...

2 Me ÉRIC DUNBERRY :

3 J'ai... Madame Hivon m'a dit que j'avais deux
4 heures quinze (2 h 15), alors techniquement, je
5 pourrais continuer pendant une heure quarante-cinq
6 (1 h 45), selon nos calculs, Madame la Présidente.

7 LA PRÉSIDENTE :

8 O.K.

9 Me ÉRIC DUNBERRY :

10 Pour essayer d'être aussi efficace que possible, on
11 va tenter de le faire, là. Alors, je vais tenter de
12 terminer aujourd'hui, ça c'est sûr. Mais, peut-être
13 passé trois heures (15 h 00), mais on va tenter de
14 terminer aujourd'hui.

15 LA PRÉSIDENTE :

16 Bien, il faudrait vraiment tenter, parce que...
17 Ceux qui me connaissent savent que j'ai une
18 fixation sur le respect des échéances, et puis je
19 ne voudrais pas avoir à faire revenir monsieur
20 Knecht lundi matin pour quelques questions de la
21 Régie, et on a, évidemment, des contraintes avec
22 les sténographes. Alors, avec mes calculs, vous
23 aviez déjà pris cent soixante minutes (160 min), il
24 vous en restait quatre-vingts (80). Alors voilà.
25 Mais, écoutez, on va y aller, puis...

1 Me ÉRIC DUNBERRY :

2 Nous avons... Je dois vous dire qu'on a exclu la
3 pause. On a exclu la pause dans nos calculs.

4 LA PRÉSIDENTE :

5 Alors...

6 Me ÉRIC DUNBERRY :

7 C'est peut-être la différence. À tout événement, je
8 voulais simplement vous dire, Madame la Présidente,
9 que nous avons... que j'ai commis une petite erreur
10 lorsque j'ai identifié le document qui a été
11 produit ce matin, pas encore produit mais identifié
12 ce matin. La pièce, c'est bien exhibit HQT-4.

13 LA PRÉSIDENTE :

14 O.K.

15 Me ÉRIC DUNBERRY :

16 Document 1.2.1, et non pas 1.1.1. Alors HQT-4,
17 document 1.2.1.

18 LA PRÉSIDENTE :

19 Merci.

20 Me ÉRIC DUNBERRY:

21 Q. [257] So, just a quick question, Mr. Knecht. There
22 has been a lot of discussion about FERC Order 1000.
23 Mr. Knecht?

24 A. Yes Sir.

25 Q. [258] Yes. There has been a discussion this

1 morning... Well, not this morning but earlier this
2 week about FERC Order 1000. Maybe I missed
3 something, but is it right that I didn't find any
4 reference in your report to FERC Order 1000? Is
5 that correct?

6 A. I was going to say I was trying to stay out of that
7 debate.

8 Q. [259] And stay out of this because, as far as
9 you're concerned, it's irrelevant.

10 A. I don't know that it's irrelevant. I don't have a
11 detailed familiarity with that order. And
12 therefore, what I've put in my evidence, or based
13 on my experience in the utilities that I've worked
14 with, and... and my understanding. So...

15 Q. [260] Just reviewing your CV, I think I've seen
16 that you're more often involved in distribution
17 cases than in transmission cases. Is that correct?

18 A. That's very... Yes, that's correct.

19 Q. [261] Your area of expertise is more focused on
20 distribution-related issues.

21 A. I don't know my area of expertise, but my
22 experience, yes.

23 Q. [262] I have provided you and the Board with two
24 things at the extreme spectre. But I have a very
25 simple question. At one extreme, you have an

1 article published in June twenty-seven (27), two
2 thousand eight (2008) in an American newspaper
3 about a decision of the Supreme Court of the United
4 States, and at the other extreme you have the
5 actual decision of the Supreme Court of the United
6 States. And the topic is sanctity of contracts. And
7 in the article that was published, there is a
8 quote, and you have the decision as well, but we
9 don't need to go there. I just have one quick
10 question for you on this, based on your experience.
11 And if you read the quote, it says:

12 FERC's refusal to void the contracts
13 years ago stemmed from what the agency
14 called a "long-standing policy to
15 recognize the sanctity of contracts".
16 The commission held to that position
17 throughout the six-year court battle
18 over the energy contracts and it
19 appears unwilling to change its tune
20 now. "The court recognized the
21 importance of contract certainty to
22 both buyers and sellers in competitive
23 wholesale power and gas markets." FERC
24 Chairman, Joseph Kelliher, said in a
25 statement, "The Court has directed the

1 commission to amplify or clarify its
2 findings on two specific points, so
3 the commission will have further work
4 to do in reviewing these contracts." A
5 second member of the commission,
6 Philip Moeller, also applauded the
7 court's decision, noting that,
8 "contract uncertainty can have a
9 chilling effect on needed investment
10 in the energy industry and may deter
11 parties from entering into long-term
12 arrangements."

13 Now, I'm not trying to have you confirm that this
14 is a proper code, I'm not trying to confirm that
15 this article says anything but what I've read. You
16 have also a reference to the Supreme Court of the
17 United States where we may go if there is a need to
18 that, but my question is simple. Based on your
19 experience before FERC and other regulatory
20 tribunals, would you agree that there is, in the
21 United States - and that's why I'm asking you the
22 question, because you are from the United States -
23 would you agree that there is, in the United
24 States, a policy that FERC has enforced, to the
25 effect that it sees contracts as something to be

1 respected, and refers to this notion as the
2 sanctity of contracts because instability in
3 contractual relationships, in the wholesale markets
4 in this case is not in the interest of buyers or
5 sellers or other entities. Would you agree with
6 this based on your experience?

7 (13 h 24)

8 LA PRÉSIDENTE :

9 Je m'excuse de vous interrompre, mais c'est parce
10 que je remarque, puis je n'avais pas remarqué
11 avant, que maître Pelletier n'est pas là.

12 Me ÉRIC DUNBERRY :

13 Ah! Moi non plus, Madame la Présidente.

14 LA PRÉSIDENTE :

15 Alors, évidemment, quand son client se fait
16 interroger, c'est un petit peu délicat de procéder
17 sans le procureur au dossier.

18 Me ÉRIC DUNBERRY :

19 Je n'avais pas noté...

20 LA PRÉSIDENTE :

21 Non, moi non plus. Je viens de remarquer. Alors,
22 est-ce que... je ne sais... je suis...

23 M. LUC BOULANGER ;

24 Alors, Madame la Présidente, si vous permettez...

25 LA PRÉSIDENTE :

1 Oui?

2 M. LUC BOULANGER :

3 ... eu égard aux questions que maître Dunberry
4 s'apprête à poser, maître Pelletier va nous joindre
5 probablement dans quelques... dans une minute ou
6 deux, alors...

7 LA PRÉSIDENTE :

8 Oui.

9 M. LUC BOULANGER :

10 ... nous, ça ne nous dérangerait pas que maître
11 Dunberry procède si ça... mais si c'est
12 complètement contraire à l'ouvrage...

13 LA PRÉSIDENTE :

14 C'est parce que je... Oui, c'est ça. Alors, je...

15 Me ÉRIC DUNBERRY :

16 Un droit fondamental sous la charte.

17 LA PRÉSIDENTE :

18 Oui. Je serais... c'est parce qu'il y a une
19 opinion... surtout que dans votre question, vous
20 posez des commentaires sur une opinion juridique.
21 Alors, je...

22 Me ÉRIC DUNBERRY :

23 Vous voulez une objection, Madame la Présidente.

24 LA PRÉSIDENTE :

25 Bien, pas que je la veux mais... pas que je la veux

1 mais s'il y en avait une, je ne voudrais pas me
2 faire reprocher plus tard de dire, « Bien, vous
3 avez procédé sans moi. Je me serais objecté. »
4 Alors, il y en a potentiellement une.

5 Me PIERRE PELLETIER :

6 Tous les moyens sont bons pour attirer l'attention.

7 LA PRÉSIDENTE :

8 Alors, allez-y. Est-ce que vous pouvez reprendre...

9 Me ÉRIC DUNBERRY :

10 Q. [263] Alors, Maître Pelletier, I was... I gave your
11 client a copy of an article that was published as
12 well as a copy of a Supreme Court decision, simply
13 as backup information. And my question to him was
14 not - and I may rephrase it if there was any issue
15 there but - I'm not asking you for a legal opinion,
16 but I'm simply asking you whether, based on your
17 experience in the United States, having been
18 involved in a number of cases before various
19 regulatory tribunals, it is in fact a fact that
20 there is this policy - let's put it that way, as
21 opposed to an opinion - that there is this policy
22 in the United States that it is good for the
23 market, it is good for the sellers and the buyers
24 that their contracts, subject to, I'm sure, certain
25 exceptions in various jurisdictions, but as a

1 policy principle that it is a good thing that
2 contracts entered into, you know, normal course of
3 business are recognized and given sanctity, which
4 is the word, I think, is used in the United States?
5 In terms of a policy issue.

6 A. Yes, as... I don't know that it's an established
7 policy but... and I will, of course, answer as a
8 non-lawyer, I think in general, there is
9 significant respect for existing contracts. I
10 certainly agree that in general, the last statement
11 here:

12 Contract uncertainty can have a
13 chilling effect on needed investment
14 in the energy industry and may deter
15 parties from entering into long-term
16 arrangements.

17 That's a sound policy and I would agree with that
18 statement. When you get into specific
19 circumstances, I hesitate to comment because I'm
20 not a lawyer but I don't think conceptually, you
21 would want to be in a position where two parties
22 could get together and enter into a contract and
23 constrain a regulator from doing what it needs to
24 do if the regulator has not approved the contracts.
25 So, I think, in that respect, you want to make sure

1 that contract certainty comes with regulatory
2 approval of the contract.

3 Q. [264] I'm obviously not referring to issues which
4 would raise all sorts of... no, I'm saying just as
5 a policy principle, I think you've answered my
6 question.

7 A. Yes.

8 Q. [265] I'd like now to turn to... Well, maybe just a
9 quick last question. "Undue discrimination", you
10 referred this morning, and I think monsieur Cormier
11 as well, to undue discrimination and the fact that
12 it is important to have comparable standards. And
13 this would apply, obviously, to both the native
14 load and the point-to-point customers. Correct?

15 A. Yes. I think it applies to native load... between
16 native load and point-to-point customers and from
17 affiliated point-to-point customers...

18 Q. [266] Yes.

19 A. ... and non-affiliated point-to-point customers.

20 Q. [267] And it would be as bad to discriminate
21 against the Distributor that it would be to
22 discriminate against HQP Production. Correct?

23 A. Both would be bad.

24 Q. [268] Thank you.

25 A. It... and discriminate... by discrimination, you

1 mean undue... avoid some undue discrimination
2 meaning, you know, discriminating, you know, on...
3 when you don't have any basis for such
4 discrimination.

5 Q. [269] The same standard would apply to HQP that it
6 would apply to your clients. Correct?

7 A. That is certainly a principal that I have... that I
8 try to follow in preparing this evidence.

9 Q. [270] Thank you. I'd like now to refer to you page
10 17 of your report, there's a table there. Maybe
11 just a couple of very quick questions, to make sure
12 that we have the same understanding. If you look at
13 that table, line D says:

14 Total maximum allowance for resource
15 related project: 59.8.

16 That is a calculation that we're all familiar with
17 now, and then, at line F, there is a rolled-in
18 portion of the upgrade cost of 59.8. Is it your
19 understanding that Hydro-Québec's proposal would
20 allow the rolled in amount to exceed the actual
21 cost, which is, in this case, fifty million dollars
22 (\$50 M), which is line A? My question is as
23 follows: line A is the actual cost of fifty million
24 dollars (\$50 M). You're rolling in the allowance,
25 in this case, in excess of fifty million dollars

1 (\$50 M); is it your proposal that we're asking the
2 Board to allow us to roll more than the actual
3 costs, or it's a simple mistake in the table?

4 (13 h 30)

5 A. It may very well be a mistake in the table, and I
6 would need to go back and look at this carefully.

7 Q. [271] It should read fifty (50), right?

8 A. But let me... let me... let me make clear what I
9 was proposing and what I was not proposing, and
10 what I understood and what I did not understand.
11 Scenario 1A is not my proposal. It was an attempt
12 to illustrate the difference between two very
13 similar scenarios, in my understanding of Hydro,
14 HQT's proposal. What I had identified in going
15 through the arithmetic and this table, was that it
16 appeared that if you looked at all of these
17 together, if you looked at all these projects
18 together, that it was, the projects were providing
19 sufficient revenue in order that, based on the
20 company's maximum investment test, that no
21 contribution should be required. And that, in the
22 mechanism that the company was proposing, there was
23 a distinction between the way resource related
24 projects were being considered, and the way that
25 substation related projects were being considered.

1 I identified this difference, I believe, in
2 my evidence, I said : « I don't really understand
3 why this occurring and this doesn't seem right to
4 me. » I've listened for five days. To be honest, I
5 still don't really understand what's going on here.
6 In the recommendations I made yesterday, I did not
7 say anything about this arbitrary distinction. I
8 don't... I think I can only conclude that I don't
9 understand this proposal well enough to offer a
10 recommendation in this respect.

11 Q. [272] You mean you don't understand HQT's proposal
12 enough to make a recommendation?

13 A. That's what I say, yes.

14 Q. [273] O.K. But you're certainly not suggesting that
15 we are proposing to include more cost than the
16 actual cost in the rate base?

17 A. I was trying to interpret your proposal, and to the
18 extent I interpreted it incorrectly, I think,
19 contributes to the evidence that I don't understand
20 this perfectly.

21 Q. [274] Perfectly. Now, but you do say in your report
22 that, as far as you're concerned, under your own
23 analogies and assumptions, you would allow the
24 entire cost of a resource to be covered by what you
25 call the excess credits, right? You would allow the

1 entire costs to be covered by available credits,
2 following a calculation that's, you know, on the
3 load side.

4 A. If you have a project that covers both resource
5 related and load related, as you defined project,
6 and it recovers both of those, it would seem to
7 make sense to me that you would allow that.

8 Q. [275] All right. Now, Hydro-Québec has taken the
9 position that its aggregation process include a
10 step one and a step two. You're familiar with these
11 two different steps? There is a step one where
12 there is an initial calculation of an initial
13 contribution, and there is a step two, where's
14 there's the actual aggregation process. Are you,
15 have you been able to understand step one and step
16 two? Are you not clear on how that works.

17 A. I'm not clear on how that works.

18 Q. [276] O.K. Now, let me try a few questions and then
19 we'll stop if that is not possible. But under step
20 one, there's a calculation for a minimal
21 contribution, which can not be covered by excess
22 credit, for the Distributor. You're familiar with
23 that?

24 A. That certainly seems to be how the arithmetic works
25 in this table.

1 Q. [277] That is for the Distributor. Now, for the
2 point to point customers, there is the similar
3 calculation for resource that would be the
4 calculation of an initial contribution if required.
5 Correct?

6 A. I'm not sure I saw a corresponding table for point
7 to point customers.

8 Q. [278] But you're familiar with the fact that, for
9 any project, there would be the calculation of an
10 allowance, and if the allowance is not enough to
11 cover the cost of the project, there would be a
12 contribution to be paid.

13 A. Yes. Yes.

14 (13 h 35)

15 Q. [279] O.K. Now, in the aggregation world for the
16 Distributor, you would allow the entire cost, even
17 the costs in excess of the allowance, to be covered
18 by, you know, the aggregate level of credit. For
19 the point-to-point customer, that would not take
20 place. There would always be, if the calculation
21 justifies it, the payment of an initial
22 contribution. So, coming back to this issue of
23 discrimination, how can you justify, on the basis
24 of a non-discrimination policy, that for the
25 Distributor, the entire cost would be covered,

1 while for the point-to-point customers there would
2 be a contribution if the cost is in excess of the
3 allowance. Would that not be actually a fairly
4 significant difference between the treatment of the
5 native load and the point-to-point customer? If
6 you're not comfortable...

7 A. As I... Let me ask... answer... Let me answer
8 generically. And the answer is it was certainly not
9 my intention to support a mechanism that treated
10 native load and point-to-point customers
11 differently. If what I proposed in my evidence but
12 did not include in my opening statement yesterday
13 and I'm uncomfortable with, would result in that,
14 then...

15 Q. [280] You would withdraw.

16 A. I would withdraw that proposal.

17 Q. [281] Okay. I think we could end there. I think
18 it's a fair answer. Now on page 15 of your
19 report... On page 15 of your report, I think... And
20 the reference would be lines 19 to... 19 to 23,
21 actually. And you're saying:

22 Based on my understanding at this
23 time, it is not.

24 Well, the question was, "Is this a logical
25 approach?", so the answer is no.

1 Resource-related projects only
2 generate incremental revenue for HQT
3 if they are associated with load
4 growth. Thus, in those cases where HQT
5 is integrating a new generator that
6 has no associated load growth, the
7 responsibility for the investment case
8 should lie with the generator.

9 I'd like to explore with you this link, this
10 connection that you want to make between resources
11 and load. Are you familiar with the concept, in
12 Quebec, that is called the "Point HQT"?

13 A. I have heard of it. But do I have a detailed
14 understanding of it? No.

15 Q. [282] Do you know what it is and what it serves?

16 A. Not... Not that I could explain in words.

17 Q. [283] Do you know whether there are posted paths
18 between load and resources within the Point HQT?

19 A. I don't know.

20 Q. [284] Okay. You never heard about the bathtub
21 analogy, I assume.

22 A. That would be correct.

23 Q. [285] Now monsieur Clermont, in his presentation,
24 said a few things - if you want to take a copy of
25 that - he said a few things about certain realities

1 that do exist in Quebec. This is on slide 22 of his
2 presentation. That was the presentation of monsieur
3 Clermont, HQT-5, document 2.1. Now, monsieur
4 Clermont said there that there was some particular
5 characteristics of our... Okay, it's page... All
6 right. It's page 22 of the presentation, which is
7 at page 11 of the document. If you have that. It
8 refers to Part IV of our OATT... Are you familiar,
9 Mr. Knecht, with Part IV of the OATT? Do you know
10 what it is?

11 A. I don't recall what is Part IV of the OATT. I have
12 looked through the OATT, I can't say I've studied
13 every single section of it, but...

14 Q. [286] But Part IV is a fairly unique part to Quebec
15 dealing with native load. Do you... Do you know
16 that? If you do I have questions, if you don't I'll
17 skip.

18 A. Why don't you skip?

19 Q. [287] Okay.

20 A. I don't have a detailed understanding of it, so...

21 Q. [288] Okay. So, anyway. Part IV deals with native
22 load in Quebec, and there is this notion here that
23 monsieur Clermont was using to justify the proposal
24 made by HQT to say, and that's the second bullet,
25 and I will read it in French:

1 Absence d'association directe et
2 spécifique entre les charges et les
3 ressources.

4 So, I think what monsieur Clermont was suggesting
5 here is that within the Point HQT in Quebec, there
6 is no direct way of connecting specifically a load
7 and a generation source. So in your proposal,
8 you're trying to suggest that we should associate
9 directly loads and resources. But the way it's been
10 constructed in Quebec within this point HQT which
11 is a single node, there is no such way of
12 associating loads and resources. Electrons, to use
13 the expression of a witness from Hydro-Québec, have
14 no colour. And therefore, it is not possible. Would
15 that change in any way your comment about how this
16 notion would apply to the upgrade policy?

17 (13 h 40)

18 A. The problem... I don't think it would, because the
19 upgrade policy, the investment made by Hydro-Québec
20 Transmission for any particular project, is based
21 on the revenue that that project will generate. And
22 if there is no revenue, because attaching a
23 generator doesn't produce any revenue, it's not
24 clear to me why the transmitter would make a
25 contribution, because that would not increase

1 revenues, but it would increase costs, and
2 therefore, would be imposing an excess cost of the
3 new project on customers.

4 Q. [289] But you're not suggesting that the cost of an
5 upgrade be associated with any specific loads
6 physically?

7 A. No. I was not suggesting that.

8 Q. [290] Okay.

9 A. What I was suggesting was that you should only
10 apply a maximum contribution where there is
11 something producing revenue for the transmission
12 utility.

13 Q. [291] On an aggregated basis for all the load?

14 R. Well, again, it's... You come to this question
15 which is difficult for each of these things, is when
16 you do an evaluation, where do you draw the circle,
17 around what defines the project that you're
18 evaluating. So if you have a project that has a new
19 generator being attached and a new load or a new
20 contract that will produce revenues for the
21 transmission utility, then, you can combine those
22 things, and you can use the revenues from whatever
23 is producing the revenue, the service agreement,
24 whatever is there, to justify the transmission
25 utility making an investment in the generation

1 integration facilities.

2 Q. [292] I understand what you meant. I'd like now to
3 move to a question that was asked to you by the
4 Board. So, that would be the first, IR, the first
5 Information Request, the only, actually,
6 Information Request from the Board to your client.
7 It is, I believe, C-AQCIE-0020, and I believe that
8 you prepared an answer to a question dealing with
9 the carry-forward feature of the aggregation for
10 the Distributor. It's question 3. So this is on
11 page 5 of 9, and page 5 of 9 presents a fairly long
12 answer with numericals, on this illustration of the
13 effect of the carry-forward feature. You recall
14 providing that answer, Mr. Knecht?

15 A. Yes.

16 Q. [293] O.K. Now, for purposes of your examination
17 and simplifying matters, I have prepared this table
18 that's been provided with -- Madame la Présidente,
19 nous avons distribué ce document -- and the
20 question that was addressed to you, I believe...

21 A. I'm sorry. Which table are...

22 Q. [294] This one.

23 A. This one. Okay.

24 Q. [295] I think the purpose of your answer was to
25 show that, as a result of the carry-forward, there

1 is no...

2 (13 h 45)

3 Me PIERRE PELLETIER :

4 Je ne veux pas déranger le contre-interrogatoire de
5 mon confrère, mais la façon qu'il a choisie de
6 présenter à la Régie les pièces qu'il invoque dans
7 ses questions, au début, quand il y en avait une ou
8 deux, ça allait bien, mais il me paraît devoir
9 poser un problème lorsqu'on voudra référer
10 ultérieurement aux pièces en relisant les notes
11 sténographiques, particulièrement vous autres
12 lorsque vous aurez à délibérer, parce qu'on se
13 retrouve à référer à différentes pièces, mais on ne
14 sait pas que c'est la pièce numéro 5 ou la numéro
15 8, ou la numéro 9. Ça me paraît de nature à
16 compliquer singulièrement votre tâche
17 éventuellement. Ce n'est pas un problème au moment
18 où on se place. On a le document devant les yeux.

19 Mais lorsque, ensuite, vous prendrez
20 connaissance des notes sténographiques d'un contre-
21 interrogatoire qui dure quatre heures de temps, et
22 puis qu'à un moment donné, vous constaterez que là
23 on commence à parler d'un document, mais on ne sait
24 pas lequel, puis on ne peut pas le savoir parce
25 qu'il n'est pas identifié, ça me paraît de nature à

1 causer un problème. Moi, je suggérerais, puis
2 encore une fois, je ne veux surtout pas mettre des
3 bâtons dans les roues, mais il me semble que ça
4 faciliterait le travail pour tout le monde,
5 particulièrement pour vous autres, si on les
6 numérotait au fur et à mesure qu'elles se
7 présentent.

8 Me ÉRIC DUNBERRY :

9 Alors, Madame la Greffière, le premier document
10 intitulé « Combined impact... » qui a été distribué
11 ce matin. Alors cote 55 pour un document intitulé
12 « Combined impact of a « 40 year » « flat-rate »
13 calculation of the Maximum Allowance ».

14 LA PRÉSIDENTE :

15 Juste un instant. Je veux juste qu'on retrouve
16 l'ensemble des pièces. C'est bon. Je vous remercie.

17

18 B-0055 : Combined impact of a « 40 year »
19 « flat-rate » calculation of the
20 Maximum Allowance

21

22 Me ÉRIC DUNBERRY :

23 Deuxième document, Madame la Présidente, est un
24 article publié dans le Los Angeles Times en date du
25 vingt-sept (27) juin deux mille huit (2008). B-

1 0056.

2

3 B-0056 : Los Angeles Times - States are dealt
4 blow on power

5

6 Le troisième document est une décision de la Cour
7 suprême des États-Unis, datée du dix-neuf (19)
8 février... pardon, du vingt-six (26) juin deux
9 mille huit (2008). B-0057.

10

11 B-0057 : Décision de la Cour suprême des États-
12 Unis du 26 juin 2008

13

14 Et ce dernier document que nous allons intituler
15 « Tableau comparatif relatif à la question 3.1 de
16 la première demande de renseignements de la Régie à
17 l'AQCIE-CIFQ ». Document C-AQCIE-CIFQ-0020 qui
18 portera donc la cote B-0058, sauf erreur.

19

20 B-0058 : Tableau comparatif relatif à la
21 question 3.1 de la première demande de
22 renseignements de la Régie à l'AQCIE-
23 CIFQ

24

25 Merci, Monsieur Pelletier. Merci, Maître Pelletier.

1 (13 h 48)

2 Mr. Knecht, with the Board's permission, I
3 will now ask you the question I had in mind. So, the
4 Board provided you with a question; you provided an
5 answer. The answer is reproduced in the left part
6 of that table. So, for instance, for the native
7 load growth you provided... and this is your
8 example, a one hundred-megawatt (100 MW) project on
9 year one, and one hundred-megawatt (100 MW) on year
10 two. The upgrade costs were fifty million dollars
11 (\$50 M) on year 1 and one hundred million (\$100 M)
12 on year 2. And these numbers are exactly the same
13 for the right side of the table under HQT. The
14 maximum allowance calculated was seventy-four
15 million dollars (\$74 M) for both years. I assume
16 that this is your maximum allowance established in
17 table 8 of your report which is not the five
18 ninety-eight (598) but the seven hundred and forty
19 (740) using the levelized flat rate calculation.
20 Correct?

21 A. Yes.

22 Q. [296] Okay, and there's a line there which is
23 "Revenue", which is the tariff rounded to seventy-
24 four dollars (\$74), so for one hundred megawatt
25 (100 MW) that will have generated seventy-four

1 million dollars (\$74 M). Correct? And that is true
2 for year number 2 as well. So, for year 1, you have
3 a maximum allowance of seventy-four million (74 M)
4 for an upgrade cost of fifty million (50 M). So,
5 you have no contribution and a surplus of twenty-
6 four million dollars (\$24 M) that is available.
7 Correct? Mr. Knecht?

8 A. Yes.

9 Q. [297] Okay. And for year 2, you have again a
10 maximum allowance of seventy-four million dollars
11 (\$74 M), but you have costs of one hundred million
12 dollars (\$100 M). So, you have a difference of
13 twenty-six million dollars (\$26 M) which would be
14 the required contribution. But because of the roll
15 over feature, the carryover feature, you have a
16 credit available of twenty-four million dollars
17 (\$24 M), so therefore your actual net contribution
18 is only two million dollars (\$2 M). And you
19 conclude that exercise by saying to the Board...
20 Well, you see in this case, because of the
21 carryover feature, there revenue of one hundred and
22 fifty million (150 M) simply covers the costs. You
23 have one hundred and fifty million dollars (\$150 M)
24 of costs for these two projects and you have, in
25 terms of revenues, seventy-four million (74 M) year

1 1, seventy-four million (74 M) year 2, and a net
2 contribution of two million dollars (\$2 M).

3 So, you say, and that is your conclusion
4 that this carryforward feature actually illustrates
5 the point that combining these two years, this
6 client only paid the actual costs that you qualify
7 as being the incremental cost. Okay. That was the
8 object of your answer. And I think the math is
9 exactly what you have in mind. What you have on the
10 right side is the exact same exercise but using not
11 your maximum allowance of seven forty (740) but the
12 current methodology which yields a revenue or an
13 allowance of fifty-nine point eight (59.8). So, if
14 you go to year number 1, same data, you have an
15 allowance of fifty-nine point eight (59.8), your
16 project costs fifty (50), so you have a difference
17 of nine point eight (9.8). So, you have a credit or
18 a surplus of nine point eight (9.8). And in year
19 two, again the same approach, except for the
20 maximum allowance which yields that a contribution
21 of forty-nine point two (49.2) should be paid,
22 forty-nine point two (49.2) being the difference
23 between one hundred (100) and fifty-nine point
24 eight (59.8), but then you only have a credit of
25 nine point eight (9.8). So, you have to pay a

1 contribution of thirty point four (30.4). And when
2 you do the same exercise, again with the
3 carryforward feature, in this case, the client is
4 paying one hundred and seventy-eight point four
5 million dollars (\$178.4 M). That is seventy-four
6 million (74 M) your first year, seventy-four
7 million (74 M) the second year, and a contribution
8 of ten point four million dollars (\$10.4 M).

9 And in that case, well, the client is not
10 only paying the incremental cost, but it also is
11 making a contribution to the fixed cost of twenty-
12 eight point four million dollars (\$28.4 M). So, my
13 question to you, Mr. Knecht, is you chose an
14 example, you chose one example that illustrates
15 your objective, which is to... that yes, there is
16 no contribution to the incremental cost. But if you
17 use the actual methodology that Hydro-Québec is
18 proposing, which has been in effect for many years,
19 there is a contribution to the fixed cost. And
20 there is a carryforward feature. And this is just
21 using the same examples that you've used.

22 So, would you agree with me that by
23 reducing the amount of the maximum allowance, you
24 will in fact generate a contribution and that there
25 is no inconsistency between a carryforward feature

1 and the possibility in cases where a contribution
2 needs to be made to actually make a contribution,
3 not only to the incremental cost, but to the entire
4 cost of the system?

5 (13 h 54)

6 R. To be honest, Mr. Dunberry, I would need to take
7 this aside and spend some time going through it
8 carefully to understand what's going on. I'm sorry,
9 I'm just...

10 Q. [298] It's the same...

11 A. ... I'm just not...

12 Q. [299] Mr. Knecht, it's the...

13 A. ... you've asserted that; I believe you but I would
14 need to go aside and check somehow and make sure I
15 understand what the parameters are, and how this is
16 working. I'm just not following it. That would...

17 Q. [300] Okay. Mr. Knecht, I just want... I don't want
18 to mislead you. This is exactly the logic you
19 followed in answering the Board's question. This is
20 not my logic, it's your logic. What you have on the
21 left is very detailed in your answer 3.1. I've
22 simply followed the same approach. The only
23 difference is that I'm not using your seven forty
24 (740) maximum allowance, I'm using the current
25 fifty-nine point eight (59.8) maximum allowance.

1 The calculation, the logic is exactly the same.

2 A. Okay. I think I understand what's going on here.

3 And in the example I used, it starts with a credit
4 that can be carried forward. And the credit being
5 carried forward allows it to be offset in the next
6 year, which is why the revenues appear to work out
7 to be... in my example, you start with a surplus in
8 the first year. And...

9 Q. [301] It's the same thing in my example.

10 A. It is the same thing in your example. Like I said,
11 I need to put... to go aside and make sure I
12 understand this.

13 Q. [302] If the numbers are right, and you can
14 certainly check that, and your counsel could
15 confirm this on Monday, if the numbers are right,
16 you will agree with me that this simple example
17 shows that there is an actual contribution, not
18 only to the incremental cost, but to the system's
19 cost.

20 A. I would agree that, if your numbers are right and
21 reasonable, that that would be correct. And I
22 certainly will... I can certainly undertake to
23 respond to this example. I like to think I'm an
24 honest guy, and will present...

25 Q. [303] No doubt.

1 A. ... will present an honest response.

2 Q. [304] No doubt. You can certainly complete your
3 answers after verifications. If there are mistakes
4 in the table, that would be, you know, absolutely
5 unfortunate. We tried to be as faithful to the
6 answer to the question, but if there are mistakes
7 in the table, I'm sure the witness will want to
8 correct and that's fine with us.

9 (13 h 56)

10 Me PIERRE PELLETIER :

11 Je pense que, dans le contexte, même si c'est assez
12 inhabituel que ça se produise comme ça, dans le
13 fond, ce qu'on demanderait au témoin, c'est de
14 prendre un engagement de répondre à cette question-
15 là après avoir eu le temps d'examiner comme il faut
16 le tableau, dans quelle mesure il correspond avec
17 ce qui est écrit à la réponse, à la très longue
18 réponse 3.1. Alors, monsieur Knecht se chargerait
19 de me faire parvenir la réponse que je
20 communiquerais à la Régie. Ça convient à tout le
21 monde?

22 Me ÉRIC DUNBERRY :

23 Bien, je pense qu'il a répondu sous réserve de
24 vérifier les chiffres. Alors tout à fait. Si les
25 chiffres s'avèrent erronés, Madame la Présidente,

1 on nous le dira. On nous le dira en début de
2 semaine.

3 Me PIERRE PELLETIER :

4 Oui, mais de même si monsieur Knecht, en plus de
5 vérifier l'exactitude des chiffres, a des
6 commentaires à formuler après avoir eu quand même
7 le temps de prendre connaissance. C'est un tableau,
8 il y a beaucoup de chiffres. Qu'il puisse être
9 autorisé à communiquer sa réponse à la Régie. Il me
10 la communiquera par écrit. Je vous la
11 communiquerai.

12 Me ÉRIC DUNBERRY :

13 Madame la Présidente, chacun réserve ses droits.
14 C'est de bonne tradition. Alors, mon collègue
15 réserve ses droits et je réserverai les miens si la
16 question suscite des questions... si la réponse
17 suscite des questions additionnelles, on aura tous
18 réservé nos droits. Alors, s'il doit y avoir des
19 compléments de réponse, nous lirons les compléments
20 de réponse. Je pense que la réponse, sujet à
21 vérification, a été donnée, sauf erreur. Et je
22 m'arrêteraïs là sur le sujet personnellement.

23 LA PRÉSIDENTE :

24 C'est juste que, évidemment, sa réponse pourrait
25 être modifiée, sauf erreur. Ou s'il voulait peut-

1 être nuancer sa réponse à une lecture. Parce que
2 là, je dois vous avouer, Maître Dunberry, puis je
3 suis absolument convaincue que vous avez fait tous
4 les efforts possibles pour reprendre exactement ce
5 qu'il y a dans les réponses. Mais c'est sûr que là,
6 vous lui soumettez un tableau, et puis il a à peu
7 près trente-deux secondes et quart pour analyser et
8 mettre ça dans le contexte de la question. Alors,
9 je pense que c'est équitable pour le client... pour
10 le client! pour le témoin de prendre le temps
11 d'examiner dans quel contexte ces chiffres-là...

12 Me ÉRIC DUNBERRY :

13 Absolument, Madame, on ne dispute absolument pas,
14 Madame la Présidente, le droit du témoin de
15 revenir. Je faisais simplement une réserve quant à
16 nos droits. C'est tout simplement ça.

17 LA PRÉSIDENTE :

18 Pas de problème. Est-ce qu'on doit... Engagement 1
19 de l'AQCIE à ce moment-là... C'est l'engagement 4.

20 Me ÉRIC DUNBERRY :

21 L'engagement souscrit, sauf erreur, est de vérifier
22 les données contenues au tableau et de nous faire
23 part de l'existence d'erreurs dans les données
24 contenues au tableau. Et il y a une réserve quant
25 au droit du témoin de compléter sa réponse assortie

1 d'une réserve du droit d'HQT de réagir à cette
2 réponse.

3
4 E-4 (AQCIE-CIFQ) Vérifier les données contenues au
5 tableau B-0058 et de nous faire
6 part de l'existence d'erreurs
7 dans les données contenues au
8 tableau (demandé par HQT)

9
10 (13 h 59)

11 Q. [305] Mister Knecht, I'd like know to move to a
12 point which I believe was made in your report on
13 page 5. I believe... I believe that you felt that
14 the use of the native load forecasts over twenty
15 (20) years, as applied for purposes of the
16 calculation... as applied to the purposes of the
17 calculation of the maximum allowance, may be less
18 conservative than it would otherwise be, because
19 the native load grows gradually, and doesn't appear
20 the first year. Correct? This is one area where you
21 believe that there might be an overstatement of the
22 revenues because of the gradual growth of the
23 native load. Correct?

24 A. Yes. The revenues only reflect the actual growth in
25 the load, whereas the maximum investment test

1 implicitly assumes that all of the revenues for all
2 of the growth that is included assumes that they
3 appear in the first year.

4 Q. [306] So, there is a calculation in your report,
5 and it is at the end of your report. It's schedule
6 2, so it's after your CV, right after the page we
7 saw earlier, which is schedule 1. It's at the end
8 of your report, it's called "Exhibit IEC-2,
9 Schedule 2". It's a calculation, again, over forty
10 (40) years. Madame la Présidente, vous l'avez, oui?
11 So, what we have here is a table that is assuming a
12 few things. First of all it's over forty (40)
13 years, correct?

14 A. Yes.

15 Q. [307] It's also using a... Well, I'll come back to
16 this, but there is a load growth factor that you
17 call incremental load starting in year two thousand
18 fourteen (2014) at zero point one (0.1), and load
19 growth has fully materialized by year twenty
20 thirty-one (2031), where you go to a full factor of
21 one (1). And for the remaining twenty-two (22) or
22 some odd years, you use one (1) as an incremental
23 load factor. Correct? This is column 8a. You see
24 this? It's a form of a ratio to...

25 A. Yes, no. No. I do... I do see it. I'm looking at...

1 I'm looking at something. I have, in this table,
2 the load phase-in appears to be over twenty (20)
3 years, whereas the table... the title says phase-in
4 over ten (10) years.

5 Q. [308] Yes.

6 A. So I think the title is... If you're going to ask
7 me whether this was a phase-in over ten (10) years,
8 it certainly appears to be over twenty (20) years.

9 Q. [309] We have a great connection now, Mr. Knecht,
10 'cause you read my questions and you give... It's
11 good.

12 A. I missed...

13 Q. [310] So, this is...

14 A. I missed it. That's incorrect. It should...

15 Q. [311] So, but that...

16 A. It is over twenty (20) years.

17 Q. [312] But that's okay. But that's not really the
18 purpose of my question. So what you have here is a
19 combination of multiple things. You have forty (40)
20 years, you have the flat rate approach, which is
21 seventy-four point sixty-five (74.65) for some
22 twenty-two (22) or twenty-one (21) years, and
23 you've introduced a third variable, which is a
24 proxy for the growth of the native load over some,
25 let's say eighteen (18) years, and you simply

1 divide this by point 0 five (.05) increment, and
2 you've reached full growth by the year two thousand
3 thirty-two (2032). Correct?

4 A. You have described it better than I could.

5 Q. [313] Okay. Now, when you factor all this in your
6 Excel spreadsheet, you arrive at a maximum
7 allowance of five ninety-three (593).

8 A. Yes.

9 Q. [314] Correct? So, when I calculate all this, I
10 have a very simple question for you, Mr. Knecht. We
11 use twenty (20) years revenue requirements, and we
12 end up at five ninety-eight (598). Your approach is
13 to change all of this, to use a forty (40)-year
14 depreciation recovery term, a flat rate, net
15 present value based on seventy-four point sixty-
16 five (74.65), and you introduce a third variable
17 which is the, I would call this the incremental
18 load ratio, and all this to come back to exactly
19 more or less the same point, five ninety-eight
20 (598).

21 So my question is the following. If, at the
22 end of all this, the result is essentially the
23 same, could it be that the Board, in its wisdom,
24 over the last twenty (20) years, has actually
25 adopted a fairly balanced approach, including a

1 shorter term, a declining revenue requirement, and
2 a tolerance, a tolerance for the fact that the
3 gradual... the load progresses gradually, to
4 exactly arrive at the point where you say we should
5 be, which is around five ninety-three (593). So is
6 it possible that this Board has actually, in its
7 wisdom, factored all this into a balance approach
8 which does the job?

9 (14 h 05)

10 A. Yes. It's possible. And in fact, that's why I
11 did... I mean, I did in fact recognize that in
12 putting this table in my evidence, which I didn't
13 have to do. I mean, I did in fact put this table
14 in. I did consider that one aspect of the Board's
15 policy with respect to native load was that it was
16 being less conservative with respect to when the
17 revenues from the load growth appear in the maximum
18 investment test and therefore that should be
19 considered. The fact that they balance out, you
20 know, is something of the specific numbers and the
21 phase in and how long it takes and how long you
22 consider all of that but, yes, I agree that in
23 those two examples, that adding the additional
24 complexity for this particular example doesn't have
25 a major impact in terms of the difference between

1 the company's proposal and what I would describe as
2 a more analytically accurate assessment of the
3 present value of the revenues.

4 Q. [315] So, I think it was a very useful exercise
5 because you and I, more or less, have been in a
6 full circle. At the end of the day, using your
7 approach or using our approach, which we like to
8 think is the Board's approach, we come to the same
9 point using, at least, these examples as proxies.

10 A. Within this example, I would agree.

11 Q. [316] But this is your example, Mr. Knecht. You
12 understand that.

13 A. Yes. And... but I could... I can... Excel is...
14 Microsoft Excel is a wonderful thing. I can
15 generate lots of examples.

16 Q. [317] I'm sure you picked the one that you felt was
17 reasonable.

18 A. I did, in fact, pick one that was reasonable,
19 although I put the wrong title on. So...

20 Q. [318] Thank you. Now, we're arriving at, I think,
21 what you wanted to talk as much as possible, which
22 is the levelized follow-up, annual follow-up test.
23 So, we will go there now. I was going to ask you a
24 question later but let me ask you right now. This
25 five ninety-three (593) calculation is dedicated to

1 the native load, obviously because there is this
2 load growth factor which is directly connected to
3 the native load characteristics. Correct?

4 A. Yes.

5 Q. [319] Bon. We've talked about discrimination and I
6 know monsieur Cormier is... feels strongly about
7 it, if on the native load side, you have a number
8 of five ninety-three (593) and on the point-to-
9 point customer side, you have a number of nine
10 sixty-nine (969), which is the equivalent of a
11 forty year (40) flat rate, net present value... So,
12 you have five ninety-three (593) on one hand,
13 because the load materializes gradually. On the
14 other hand, you have nine sixty-nine (969). Would
15 you have conceptually a discrimination issue here?
16 Would you think that it is appropriate for your
17 clients to recommend a difference... maybe they're
18 not recommending it but if that was the end result
19 of the evidence, would you think it would be
20 appropriate that the native load, your clients,
21 would only get five ninety-three (593), but the
22 point-to-point customers, such as Brookfield or NLH
23 or the Producer, would get nine sixty-nine (969)?

24 A. It's problematic from a rate making standpoint to
25 have very different numbers like that. And there's

1 certainly a simplicity advantage in setting a
2 maximum investment level that is the same for both
3 native load and point-to-point customers. I... you
4 know... and as I said, you know, my recommendation
5 really was to try to make the parameters in the
6 maximum investment test consistent with the
7 parameters in the levelized cost.

8 Q. [320] And given the fact that the maximum allowance
9 is driven by notions of protecting existing
10 customers and rate neutrality, would you agree with
11 me that if one is to accept a similar treatment to
12 avoid discrimination issues, you would err on the
13 lower number, you would err on the side of prudence
14 and...

15 A. Yes.

16 Q. [321] ... conservativeness and pick five ninety-
17 three (593) for both. Correct?

18 A. Yes.

19 Q. [322] Alright, back to this levelized cost test,
20 Mr. Knecht, and I would ask you to take a copy...

21 M. PASCAL CORMIER :

22 Excusez-moi, Monsieur Duneberry, vous avez fait
23 référence à ce qui avait été marqué dans le rapport
24 monsieur Cormier. Il n'a jamais été dans
25 l'intention du rapport d'avoir des chiffres

1 différents pour le point à point et la charge
2 locale. Juste pour clarifier ça. Le neuf cents
3 (900) et le cinq cents (500) que vous êtes arrivé,
4 vous êtes arrivé avec ces chiffres-là, ce n'est
5 jamais les chiffres que j'ai proposés.

6 Me ÉRIC DUNBERRY :

7 Vous, personnellement, Monsieur Cormier, je ne peux
8 pas vraiment identifier les éléments qui vous sont
9 attribuables personnellement. Je réfèrais au
10 rapport de monsieur Knecht, et au mémoire de vos
11 clients.

12 M. PASCAL CORMIER :

13 Vous faisiez mention à ce que les clients prenaient
14 les chiffres du mémoire ou les chiffres de monsieur
15 Knecht, alors...

16 (14 h 10)

17 Me ÉRIC DUNBERRY :

18 Q. [323] Je vais poursuivre mon interrogatoire, Madame
19 la Présidente, je ne suis pas sûr de pouvoir... je
20 ne suis pas sûr de pouvoir réagir à ce commentaire.
21 Mr. Knecht, I'd like to go back to your opening
22 statement. And keep it on your right side, and
23 please take a copy of your report, not far from
24 where we were.

25 I'd like to discuss two issues that I think

1 have to be distinguished. So I'd like you to bear
2 with me. I make a distinction between the carry-
3 forward feature that you referred to in your
4 report, in the context of the point to point annual
5 follow-up, and what you call the complementary
6 reimbursement. So I will make a distinction between
7 these two components. And my first question is as
8 follows, and I want to be as precise as possible:
9 leaving aside the complementary reimbursement
10 issue, leaving that aside, on a going forward
11 basis, is it your understanding that my client,
12 HQT, is proposing a carry-forward feature for its
13 annual follow-up, leaving aside the complementary
14 reimbursement issue, which is a contract issue that
15 we'll discuss at length. Is it your understanding
16 that, in the annual follow-up proposal, there is,
17 like there is one for the aggregation for the
18 native load, that there is a carry-forward feature
19 in that proposal? Do you think there is one or
20 none?

21 A. I believe, yesterday, I said that I wasn't
22 completely clear on what the proposal was. As I
23 heard mister Verret's testimony, if you look at
24 page 22 of my evidence, this was a note that I
25 made...

1 Q. [324] Yes.

2 A. ... during the rebuttal phase of the proceeding,
3 that lines 21 to 26, that I believe that mister
4 Verret said that what I'm suggesting here is, in
5 fact, what the company is proposing on a going
6 forward basis. And if that's true, then, with
7 respect to going forward issues, I don't have an
8 objection.

9 Q. [325] If there is no carry-forward feature in the
10 annual follow-up, you're fine with it?

11 A. If, for all future projects, the project is
12 evaluated by itself, when the project is
13 introduced, the project is evaluated by itself, the
14 revenues associated with the projects are reflected
15 in the maximum investment test, a maximum
16 investment approach is used, the same as it is
17 applied to native load, and the costs, the known
18 costs at the time the project is undertaken are
19 reflected, are the costs that are considered in the
20 evaluation, I have no objection. If that is what is
21 being proposed, there isn't any need to do a
22 revenue sufficiency calculation, because you've
23 evaluated it up front, you have established on a
24 conservative basis what contribution needs to be,
25 and you have solved the problem.

1 Q. [326] Okay.

2 A. You don't, then, you don't need an annual follow-up
3 with respect to those projects.

4 Q. [327] Okay.

5 A. However, if, on a going forward basis, you enter
6 into one of those projects, and you then start
7 looking at and comparing what the revenues are in
8 each year, with what the levelized costs are in
9 each year for that project, odds are you are going
10 to show some extra revenues associated with that
11 project.

12 Q. [328] What is your...

13 A. By carry-forward... I'm sorry, I'm speaking slowly
14 or trying to. If there are those excess revenues,
15 the concern that I had was that those revenues are
16 essentially there because you have used different
17 economic parameters, in your levelized cost test
18 than you used in the maximum investment test. And
19 if you can then say : « Oh, I'm generating these
20 extra revenues from this project. I can use them as
21 part of my calculation for the next project. »;
22 then, I have a concern.

23 Q. [329] Okay. And if you can not... You understand,
24 the annual follow-up is an annual exercise,
25 correct?

1 A. Yes.

2 Q. [330] And at the end of that annual exercise, you
3 have all the cost, you have all the revenues, and
4 you say there is an excess, a surplus. If that
5 surplus is not carried forward to the next year or
6 to other projects, you don't have a problem?

7 A. No. No. By carrying forward, and in fact, I think
8 carry forward may not have been the best
9 expression; it's the aggregation, it's saying that
10 you can use the excess revenues from one project to
11 justify the investment by the transmitter in some
12 future project.

13 Q. [331] In the same year?

14 A. No. In some future years.

15 Q. [332] Okay.

16 A. Some distinct.

17 (14 h 15)

18 Q. [333] But if it's in the same year, you don't have
19 a problem. You have excess revenues, excess expense
20 or increase expenses in the same year? If you're in
21 the same column, the same vertical column, within
22 the same year, you don't have a problem with that
23 approach.

24 A. I don't have a problem if, for future projects, the
25 revenues are compared to the costs on a project by

1 project basis. As I said, the annual review is done
2 on an aggregate basis. And there isn't a matching
3 of revenues for a project with the cost for a
4 project and the net for the project. What there is
5 is an aggregation across everything. And what I'm
6 suggesting is that it ought to be done on a project
7 by project basis, at least on a going forward
8 basis.

9 Q. [334] Okay. You understand that for the native
10 load, there is an aggregation, and that aggregation
11 has a purpose, which is to calculate the maximum
12 allowance. Correct?

13 A. Yes.

14 Q. [335] Is it your understanding that the annual
15 follow-up has the same purpose, that it serves to
16 calculate the maximum allowance, or is it a follow-
17 up after the allowance has been calculated and put
18 in a contract years before?

19 A. I understand that the annual follow-up is a follow-
20 up. However, I also understand that at least in the
21 past, the interpretation has been there are
22 revenues in excess of costs, and I don't know
23 exactly how those are calculated, but that there
24 are some revenues in excess of costs that are being
25 allowed to be applied to future projects, and

1 thereby reduce the contribution for those future
2 projects.

3 Q. [336] Okay.

4 A. For those subsequent projects.

5 Q. [337] Is your report and your answer based on the
6 understanding that the annual follow-up will change
7 the amount of the contribution and the maximum
8 allowance that was the basis for the approval of
9 the process?

10 A. My concern is...

11 Q. [338] Please answer the question, 'cause that's
12 very critical. Is it your understanding that the
13 annual follow-up will retroactively change the
14 amount of the maximum allowance?

15 A. No.

16 Q. [339] For any project?

17 A. No. Not retroactively.

18 Q. [340] Okay. That's a good...

19 A. My understanding is that the annual follow-up gives
20 you some indication, for the particular customer or
21 the particular project that's being evaluated, how
22 revenues from that project compare to levelized
23 costs for that project, and while I'm not sure what
24 the details are, are certainly sending a signal,
25 saying that if there are excess revenues, maybe,

1 that those excess revenues may be being applied as
2 part of future maximum investment tests for future
3 projects.

4 Q. [341] Okay. And if these... Let's take a year
5 where... One year. Two thousand seventeen (2017).
6 Three sources of revenues, three projects.
7 Annually. Annualized cost. Annuities. Three sources
8 of revenues on an annual basis, and three
9 annuities.

10 A. New projects?

11 Q. [342] Projects. On the books.

12 A. Existing projects.

13 Q. [343] Existing projects.

14 A. Okay.

15 Q. [344] You calculate the sources of revenues, you
16 total the annuities, and you have an excess. You
17 have more revenues than you have annuities. Let's
18 say you have two hundred dollars (\$200) of revenue,
19 one hundred dollars (\$100) of costs. There is a
20 surplus of one hundred dollars (\$100). If that one
21 hundred dollars (\$100) is not used for a following
22 year or for a subsequent project, are you happy
23 with the approach? In other words, my client keeps
24 the money. The one hundred dollars (\$100) stays
25 with us. I'm not talking about a complementary

1 reimbursement. One hundred dollars (\$100) is left
2 at the end of the year, you have three sources of
3 revenues, three projects with annuities, you have
4 one hundred dollars (\$100) left. That money is kept
5 by TransÉnergie. Not carried forward...

6 A. I understand...

7 Q. [345] ... to future years or future projects.

8 A. Yes.

9 Q. [346] My understanding is that you're fine with
10 that.

11 A. No. No. Because those projects go, let's say
12 they're twenty (20) year projects. So that one
13 hundred dollars (\$100) is there every year. And
14 that, if that project... And if we just said it was
15 one project that was generating one hundred dollars
16 (\$100), is that project was evaluated on its own.
17 When you... The concern I have is, then, that you
18 can use those hundred dollars (\$100) per year in
19 any year, to then, as a justification, provide
20 revenues that would allow additional investments,
21 and then that one hundred dollars (\$100) would have
22 gone away. It would have existed for the set of
23 years until the new project comes along, but then,
24 going forward, it is no longer making any
25 contribution to the existing system.

1 (14 h 20)

2 Q. [347] Now you understand, Mr. Knecht, that the
3 complementary reimbursement only applies to six
4 projects that have already been approved.

5 A. I understand that now.

6 Q. [348] Okay. So it will not apply to other projects,
7 other future projects; it would only apply to the
8 six projects until it's exhausted, and then, there
9 is a permanent approach, which is the one that
10 you've discussed...

11 A. I understand, but I did indicate that I think I
12 have a problem with the permanent approach, at
13 least as you described it.

14 Q. [349] Okay. But you don't have the problem because
15 of the complementary...

16 A. It's not related to the...

17 Q. [350] It's a temporary issue.

18 A. Yes.

19 Q. [351] Okay.

20 A. The complementary repayment issue is another issue.

21 Q. [352] Okay. That complementary repayment issue is
22 what I would call a contract issue, a fairness
23 issue, or I would call this a legal issue. But you
24 heard that, during the previous days of this week.

25 A. I did. And again, as I said, and I'd certainly be

1 very concerned with it on a going forward basis, if
2 it were applied to future projects. I don't know
3 all the details...

4 Q. [353] Okay.

5 A. ... about the existing contracts, or what was
6 expected at the time, when those contracts were...

7 Q. [354] Okay.

8 A. ... entered into, or what the regulatory
9 environment was. However, even, you know, even the
10 fact that this is only a transition measure, it
11 would seem to me that you would need to
12 demonstrate, and I don't doubt that you will make
13 the case, but you will need to demonstrate that it
14 was the understanding of all of the parties, and I
15 assume the Régie approved these contracts, that the
16 customer, if he produced revenues in excess of
17 levelized cost in any period, could essentially
18 carry those amounts forward, for use at some future
19 time, to apply against different projects.

20 Q. [355] Now, in preparing your report, I assume you
21 were under the understanding, which has changed
22 now, that this complementary reimbursement would be
23 a permanent feature?

24 A. Yes. And...

25 Q. [356] And I assume that the language used in your

1 report reflected that understanding, and that, with
2 the current understanding, some of the language
3 used in your report would have been different, I
4 assume.

5 A. Yes. I think so.

6 Q. [357] Okay. And you were not provided with, by your
7 client, with any of the historical information,
8 going back to how these six projects were approved,
9 on what basis, and the kind of decisions are
10 arguments that were raised. You're not familiar
11 with any of this, I would call,
12 commercial/legal/regulatory environment?

13 A. Yes.

14 Q. [358] You're not familiar?

15 A. That's correct. Yes. That is correct. I am not
16 familiar.

17 Q. [359] So you have not any informed opinion or view
18 on whether this is appropriate or not? You simply
19 are not familiar with...

20 A. I'm not familiar with the details, and I certainly
21 will not render a legal opinion in that respect. As
22 I said, it is a mechanism, however, allowing excess
23 revenues to be carried forward and applied to
24 future projects would strike me as relatively
25 unusual. But it's Québec. The good and the bad.

- 1 Q. [360] Je regarde mes notes, Madame la Présidente.
2 One quick question, Mr. Knecht. You heard,
3 probably, monsieur Verret, say that the ability of
4 a customer, the ability or the faculty, or the
5 ability of a customer to use all revenues generated
6 under a contract to cover cost of multiple
7 projects, is something that may be of commercial
8 interest to their client, at the time of entering
9 into a contract, and could impact the duration of
10 that contract. You heard evidence about that I
11 assume.
- 12 A. Yes. Yes.
- 13 Q. [361] You did?
- 14 A. I did hear that.
- 15 (14 h 25)
- 16 Q. [362] Now, again, I know that you've not been
17 involved in any of these historical issues but
18 putting yourself again in this context, from a
19 regulatory or policy perspective, would you agree
20 that the ability to use this feature would be of
21 commercial interest?
- 22 A. I would agree it would be of commercial interest. I
23 would also be concerned about it, I think, for the
24 reasons I lay out in my evidence, particularly for
25 these really long-term contracts that it has

1 these... it could send the wrong price signals for
2 future investments when you're looking at
3 investments that were not contemplated at all when
4 the contract was entered into. I mean...

5 Q. [363] Now...

6 A. ... if we're going to continue to have thirty-five
7 year (35) and fifty-year (50) contracts, then
8 you're twenty (20) years in, whatever investments
9 were contemplated at the beginning have been
10 entered into, possibly... and paid off, if those
11 revenues remain available to be used to fund
12 additional resources... as I said, they look like a
13 free resource to a customer who has entered into
14 the contract and could induce that customer to make
15 economically inefficient... what overall are...
16 what are economically efficient... economically
17 attractive decisions for the customer, but are
18 economically inefficient overall.

19 Q. [364] And are you also in agreement that it may
20 lead that customer to enter into a longer term
21 contract than it would otherwise?

22 A. The ability to use...

23 Q. [365] Yes.

24 A. ... the revenues to...

25 Q. [366] It would be an incentive to enter into longer

1 term contract all else being equal.

2 A. All else being equal, I think I would agree with
3 that, yes.

4 Q. [367] Thank you. There was an argument made in your
5 report that the calculation of the maximum
6 allowance is inconsistent with the actual language
7 of the tariff. Correct? You made that...

8 A. As I read the language of the tariff...

9 Q. [368] Yes.

10 A. ... yes, I did make that comment.

11 Q. [369] Mr. Le Régisseur Pilotto, yesterday made a
12 suggestion to correct that, is to simply adjust the
13 language of the tariff to reflect the methodology
14 that has been in place for many years. Would you
15 think that would be a solution...

16 A. If the...

17 Q. [370] ... to avoid...

18 A. ... if the Régie, if the Régie determines that the
19 twenty year (20) mechanism and the first... the
20 mechanism that is in place, that is based on a
21 first year approach and is based on a twenty year
22 (20) approach, if that is retained, then I would
23 think that the language of the tariff should be
24 modified.

25 Q. [371] As opposed to raising the allowance to nine

1 sixty-nine (969), using your interpretation of the
2 language, another approach is simply to keep the
3 five ninety-eight (598) and tweak whatever language
4 issue you may have. It's another approach.

5 A. I disagree with that. The reason I disagree with
6 that is that you want to adopt the mechanism that
7 you think is the correct mechanism, whether it's a
8 levelized mechanism or a first year mechanism, and
9 whether it's a twenty year (20) mechanism, or a
10 forty year (40) mechanism, you want to adopt the
11 mechanism that you think is appropriate for Québec
12 and then write the tariff to be consistent with it.

13 Q. [372] I agree. So...

14 A. But you don't...

15 Q. [373] ... what you're suggesting is that...

16 A. ... but simply changing the tariff doesn't
17 necessarily address the problem. You address the
18 problem substantively and then you write the
19 tariff.

20 Q. [374] Okay, so the language issue is an accessory
21 to the real issue which is looking at the
22 methodology and picking the right methodology.

23 A. I agree with that.

24 Q. [375] Okay. Madame la Présidente, avec votre
25 permission, je prendrais quelques minutes pour

1 parler à mes clients, aux représentants d'Hydro-
2 Québec, voir s'il y a autre chose. J'aurais peut-
3 être une dernière ou deux questions, mais je veux
4 vérifier avec mes clients pour m'assurer de...
5 LA PRÉSIDENTE :
6 Pas de problème.
7 Me ÉRIC DUNBERRY :
8 Je vous reviens rapidement.
9 SUSPENSION DE L'AUDIENCE
10 REPRISE DE L'AUDIENCE
11 LA PRÉSIDENTE :
12 Maître Dunberry.
13 Me ÉRIC DUNBERRY :
14 Alors, bonjour, Madame la Présidente. D'abord, je
15 dois m'excuser, nous avons quitter la pièce sans
16 vous demander la permission. Nous voulions nous
17 parler et nous étiez plusieurs et on voulait se
18 parler entre nous, pour des raisons évidentes.
19 Alors, nous aurions dû demander votre permission
20 avant de quitter. Alors, désolé. C'est...
21 LA PRÉSIDENTE :
22 C'est beau.
23 (14 h 35)
24 Me ÉRIC DUNBERRY :
25 ... j'en prends la pleine responsabilité, d'abord.

1 Deuxièmement la bonne nouvelle, c'est...

2 LA PRÉSIDENTE :

3 Faites-vous en pas, il y a eu un mouvement de
4 troupeau...

5 Me ÉRIC DUNBERRY :

6 Oui, oui.

7 LA PRÉSIDENTE :

8 ... qui a suivi.

9 Me ÉRIC DUNBERRY :

10 Oui, je pense qu'il y avait, c'est vendredi après-
11 midi, alors il y a eu cet effet-là. Madame la
12 Présidente, j'ai compris qu'il n'était pas utile de
13 coter les décisions de la Régie, je pense que...

14 LA PRÉSIDENTE :

15 C'est correct.

16 Me ÉRIC DUNBERRY :

17 ... ça va de soir que la Régie les a. Par ailleurs,
18 simplement vous confirmer que nous avons terminé
19 avec le contre-interrogatoire, dans des délais qui
20 nous semblent, somme toute, assez raisonnables
21 alors nous vous laissons le champ libre, Madame la
22 Présidente, pour que la Formation puisse
23 interroger.

24 LA PRÉSIDENTE :

25 Je vais vous garder juste une seconde, pendant que

1 vous êtes debout, l'engagement 3?

2 Me ÉRIC DUNBERRY :

3 Ah! La moitié de la réponse est toujours en cours
4 de préparation, l'autre moitié, c'est quand ça va
5 être prêt, puis ça, je peux comprendre, je pense
6 que les fouets vont... lundi matin, Madame la
7 Présidente.

8 LA PRÉSIDENTE :

9 Lundi matin?

10 Me ÉRIC DUNBERRY :

11 Oui.

12 LA PRÉSIDENTE :

13 D'accord. Si jamais c'est prêt auparavant, juste
14 comme ça, si vous pourriez avoir la gentillesse
15 peut-être de l'envoyer par...

16 Me ÉRIC DUNBERRY :

17 Courriel.

18 LA PRÉSIDENTE :

19 ... courriel au procureur, pour qu'on puisse...

20 Me ÉRIC DUNBERRY :

21 Oui, tout à fait, dès que ça sera prêt.

22 LA PRÉSIDENTE :

23 ... pour qu'il puisse en prendre connaissance. Je
24 vous remercie beaucoup.

25

1 Me ÉRIC DUNBERRY :

2 C'est moi qui vous remercie, Madame la Présidente,
3 alors nous laissons la place au procureur de la
4 Régie.

5 LA PRÉSIDENTE :

6 Je vous remercie. Maître Legault?

7 INTERROGÉS PAR Me LOUIS LEGAULT :

8 Merci. Bonjour, Madame la Présidente. Bonjour aux
9 membres du panel. Monsieur Knecht, j'aurai
10 certaines questions pour vous, and I will switch in
11 English, I think it will make things easier so
12 there will be less translation.

13 Q. [376] We have entered this period of cross-
14 examination, and at the end of your testimony, we
15 were talking about, Mr. Dunberry was questioning
16 you on the incentive for long-term conventions, or
17 for a transmission client or customer to enter into
18 long-term conventions or contracts, and you said,
19 "Sure, there is a commercial incentive, or
20 interest, or benefit", that is my understanding of
21 what you were saying.

22 And you also said that there was an
23 economic benefit, or interest, for a customer to
24 enter into long-term contracts, but overall, the
25 economic benefit, not so, that's how I read your

1 testimony. I would like to dab a little more into
2 the incentive of entering into long-term contracts
3 for transmission customers.

4 In your answer to Request for Information
5 No. 4 of the Régie, AQCIE-CIFQ-0020, you mentioned,
6 in answering Question 4, and there was a preamble
7 to that question, and I will read it out to you :

8 However, having said that, it is my
9 experience that customer contribution
10 policies are generally determined at
11 the time a new customer signs on for
12 service, and apply to one project at a
13 time. At that time, both incremental
14 revenues and incremental costs are
15 assessed, and any customer
16 contribution determined. In general,
17 any unused contributions are not
18 carried forward, and levelized
19 incremental cost tests are
20 unnecessary.

21 And the question was, from the Régie, I'll
22 paraphrase in English : "Please indicate, under
23 your experience, that contribution from customers
24 to the... les ajouts au réseau... are reevaluated
25 and paid for at the moment that the project is put

1 into service." And we asked you then to elaborate
2 on that. And your answer was,
3 4.1 [...] no direct experience with
4 the specific timing for determining
5 the magnitude of the contribution
6 required from a new customer.
7 As a conceptual matter...
8 you observed,
9 ... that the advantage of an actual
10 cost "true-up" to the required
11 customer contribution provides the
12 maximum protection to existing loads,
13 since no variances between actual and
14 forecast system expansion costs will
15 be absorbed by the total cost pool.
16 You went on, saying that,
17 The corresponding disadvantage to
18 applying such a true-up mechanism is
19 that it will likely serve to
20 discourage incremental loads (that
21 require a contribution) from non-HQ
22 entities. The true-up mechanism
23 imposes relatively high risks on non-
24 HQ entities for at least two reasons.
25 First, the customer would assume the

1 risk for all construction cost
2 variances and overruns, but would have
3 no control over the construction
4 project because it would be managed by
5 HQ. Second, the customer would
6 recognize that HQ would have little
7 incentive to control its costs, since
8 overruns could be passed on to the
9 customer in the form of higher-than-
10 expected contribution requirements.
11 With respect to projects involving an
12 HQ affiliate, the risks are different.
13 First, HQ has control over the
14 management of the incremental
15 investment. Second, as an integrated
16 entity, HQ has an economic incentive
17 to control its costs, particularly for
18 HQP PTP projects. Thus, there is less
19 of a disadvantage in applying a true-
20 up mechanism to projects required by
21 HQ affiliates than to projects
22 required by non-HQ customers.

23 And I would like to say sorry to the translators,
24 because I think I read fast, and it was probably
25 hard for them to translate in French.

1 (14 h 46)

2 In its presentation, the Transmitter, HQT,
3 insisted on the importance of an incentive
4 regarding long-term conventions, entering into
5 long-term contracts. In the record, les notes
6 sténographiques of February second (2nd), at page
7 28, line 6 and forward, we can read,

8 J'aimerais aussi attirer votre
9 attention au fait qu'il est grandement
10 souhaitable que le cadre réglementaire
11 incite les clients des services de
12 transport de point à point à signer
13 des conventions de service à long
14 terme. Et que ces clients ne soient
15 pas pénalisés par la suite pour la
16 non-concomitance du moment de la
17 signature de leur convention de
18 service avec le moment des ajouts au
19 réseau pour le raccordement d'une
20 centrale. L'un ne va pas sans l'autre.
21 Le cadre réglementaire actuel contient
22 cet incitatif et il est essentiel, à
23 notre avis, de le préserver. Car, en
24 plus d'être équitable envers les
25 signataires des conventions de service

1 à long terme, les clients existants
2 bénéficient de la présence de ces
3 réservations à long terme sur le
4 réseau par des baisses de tarif.

5 Further in the records of February the fourth
6 (4th), page 175, 176, line 22 and following, and
7 I'll cut short to this, again, the Transmitter
8 witnesses state,

9 Puis de l'incitatif qui, selon nous,
10 doit demeurer dans les tarifs et
11 conditions pour les clients de long
12 terme, comme madame Chang l'a
13 mentionné tout à l'heure, c'est
14 quelque chose de souhaitable, pour un
15 Transporteur, que d'avoir des clients
16 qui s'engagent à long terme sur son
17 réseau. Alors, prenons quelques
18 minutes, là, pour bien asseoir les
19 concepts puis bien expliquer cette
20 situation-là.

21 Mr. Cormier, when he testified yesterday, also
22 referred to the benefits and the incentive of
23 entering into long-term contracts, and I'll refer
24 you to yesterday's records, page 207 and following.
25 Mr. Cormier stated that, at line 14 and following,

1 for today's record so that when, you can follow me
2 when you read this another day,

3 La raison principale pourquoi les
4 gens, les clients point à point
5 achètent du service de transport point
6 à point, c'est pour l'utiliser et
7 accéder. Le service il part d'un point
8 A, il va à un point B, soit au marché.

9 And page 208, line 1 and following,

10 ... juste les ajouts au réseau. Il y a
11 un service qui provient avec ça, il y
12 a un accès, il y a une garantie
13 d'accès. [...] Autrement dit, avant
14 qu'il y ait un renouvellement [...] c'est
15 au moment du renouvellement
16 qu'il peut y avoir un compétiteur qui
17 peut dire : « Moi aussi j'aimerais
18 accéder à ça, donc je vais accoter ta
19 demande de renouvellement. »
20 Évidemment, quand c'est trente-cinq
21 (35) ans, ça prend du temps. Donc, je
22 veux juste vous mettre ça en tête,
23 qu'il y a une valeur au transport puis
24 ce transport-là c'est pour accéder au
25 marché.

1 That's where I'm stopping citing the evidence from
2 the following day, the previous days. What is your
3 take, your opinion, on the incentives for long-term
4 conventions, as stated by the Transmitter, for
5 option i) of Section 12A.2 i) of the Tariffs and
6 Conditions?

7 Me ÉRIC DUNBERRY :

8 Alors, Madame la Présidente, évidemment, le
9 préambule a été très très long, il concentre
10 l'ensemble d'éléments de preuve choisis par le
11 procureur pour présenter, à titre de préambule, une
12 question, et la question réfère directement au
13 contexte relatif à l'article 12A.2 i).

14 Et je ne suis pas sûr d'avoir bien saisi la
15 portée de la question mais s'il s'agit de demander
16 au témoin d'établir un lien entre l'interprétation
17 légale de cette disposition-là et les bénéfices qui
18 pourraient en découler, c'est une question de
19 droit, évidemment, parce que ça implique une
20 interprétation d'un texte pour ensuite en déduire
21 des bénéfices commerciaux.

22 Alors je ne voudrais juste pas que la
23 réponse, sous réserve évidemment de cette
24 objection, soit interprétée comme étant une réponse
25 qui présume d'une compréhension appropriée du sens

1 à donner à cette disposition-là, parce que le sens
2 à donner à cette disposition-là a fait l'objet de
3 décisions que le témoin a dit ne pas avoir lues.
4 Alors si on doit présumer qu'il donnera à cette
5 disposition-là un sens, qui est une opinion
6 juridique et de là fournir une réponse sur la
7 nature des bénéfices. Il y a à l'origine même une
8 difficulté au plan juridique.

9 (14 h 48)

10 LA PRÉSIDENTE :

11 Écoutez, Maître Dunberry, je pense que le long
12 préambule voulait tout simplement faire l'état des
13 avantages qui avaient été énumérés à des contrats
14 de long terme, soit l'incitatif à avoir des
15 contrats pour le Transporteur. Et monsieur Cormier
16 aussi qui avait dit également qu'il y avait
17 l'avantage pour accès aux marchés extérieurs, avec
18 priorité. Je pense que la question de maître
19 Legault est tout simplement d'avoir une opinion pas
20 juridique, mais une opinion du témoin sur les
21 conséquences de ces contrats.

22 Me LOUIS LEGAULT :

23 Madame la Présidente, effectivement, je ne demande
24 pas une opinion juridique, certainement pas. Je
25 demande au témoin comme spécialiste en allocation

1 de coût, qui s'est prononcé à la lumière des
2 dispositions et de la proposition du Transporteur
3 et notamment quant à l'option i) de la section 12A
4 ii), puis je ne lui demande pas d'interpréter
5 légalement, à la lumière du contexte de la preuve
6 au dossier de cette disposition-là, pour lui, quels
7 sont les avantages ou les « incentives ».

8 Me ÉRIC DUNBERRY :

9 Si la question est à l'effet quels sont les
10 avantages des contrats à long terme, j'ai posé
11 cette question-là, je n'ai aucune difficulté à ce
12 qu'il la repose. Si la question est : Quels sont
13 les avantages à long terme de l'article 12A.2 i),
14 ce qui est une différente question, j'ai ma
15 position juridique qui sera plaidée la semaine
16 prochaine, et le témoin n'est pas ici pour plaider.
17 Alors, quels sont les avantages de contrats à long
18 terme? Aucune difficulté. Quels sont les avantages
19 de l'article 12A.2 i)? C'est autre chose.

20 LA PRÉSIDENTE :

21 En fait je pense qu'on peut le diviser en plusieurs
22 morceaux que monsieur Knecht pourra répondre. Donc,
23 en premier, quels sont les avantages d'un contrat à
24 long terme? Et puis ensuite, il pourra commenter,
25 si monsieur Legault lui pose les questions, quels

1 sont les avantages de votre proposition sur votre
2 interprétation de l'article 12A.2 ii) qui fait en
3 sorte que les revenus, on va dire les revenus
4 disponibles, pour reprendre la terminologie de
5 monsieur Clermont, sont reportés pour de nouvelles
6 installations. Je pense que c'est tout à fait à
7 l'intérieur des capacités du témoin que de répondre
8 sur ces questions-là.

9 Me ÉRIC DUNBERRY :

10 Je note votre décision, Madame la Présidente.

11 LA PRÉSIDENTE :

12 Merci.

13 (14 h 51)

14 Me LOUIS LEGAULT :

15 Q. [377] Do you want me to repeat the question?

16 Dr. ROBERT D. KNECHT :

17 A. The question, yes, the...

18 Q. [378] It's the usual strategy.

19 A. ... the preamble, no. But if you would repeat the
20 question, and I think to, just so that, to try to
21 be clearer about whether you're asking about the
22 benefits of long-term contracts or whether you're
23 asking about the incentives created to enter into
24 long-term contracts, and those are two different
25 things. So if you would repeat the question with...

1 Q. [379] So what is your opinion on the incentives for
2 long-term contracts as stated by the Transmitter,
3 and again, I am not asking for a legal opinion, it
4 was longly discussed yesterday, following the
5 panel, the Board's questions to the panel from
6 Hydro-Québec, relating to 12A.i), ii), and
7 everybody gave what they thought from Hydro, and
8 that's why I went...

9 A. Yes.

10 Q. [380] ... into the evidence to say -- this is what
11 they were saying, my question to you is what is
12 your opinion on that?

13 A. I believe, I did actually address that issue
14 earlier today with Mr. Dunberry, essentially
15 agreeing, as I understood it with Madam Chair, that
16 in the context of a policy which compares the
17 revenues generated under the contract with the
18 costs, and that that results in a maximum
19 investment, the higher the revenues, the greater
20 the investment that the Transmitter is willing to
21 make, and therefore the longer the term of the
22 contract, the higher the maximum investment.

23 So if you have a project, a specific
24 project that involves a specific set of costs, as
25 we say, all other things being equal, you would be,

1 you as a customer would have a greater interest in
2 signing a ten-year contract and getting a higher
3 maximum investment and having a lower contribution
4 than in a five-year contract.

5 So I think, and 12A.2 i) goes to the issue
6 of long-term contracts and addresses this issue of
7 present value, and again, the longer, from the kind
8 of simplest perspective, the longer the term, the
9 better, from the customer's perspective.

10 Q. [381] I'll come to the word "now", you said a bit
11 earlier today that there's things you knew "now"
12 that you probably didn't know when you wrote your
13 primary evidence, but I'll come back to another
14 "now" that you used this morning. You said this
15 morning that there is an incentive "now", what are
16 you referring to when you use the word "now" for
17 customers to go into, or to enter into long-term
18 contracts?

19 A. I'm sorry, I'm not sure that I'm following the
20 question.

21 Q. [382] Well, there is a proposal on the table that
22 is in front of the Régie...

23 A. That's right, yes.

24 Q. [383] ... this Board will have to deal with, but
25 you put it in the context in the present time,

1 there is already an incentive now...

2 A. Now, there is...

3 Q. [384] ... so this is what I am asking you.

4 A. Yes, my understanding is that there is, that in the
5 context of the tariff in place now, the existing
6 tariff, there is an incentive, and I believe that
7 stays in, that remains in the Transmitter's
8 proposal.

9 Q. [385] What is that incentive?

10 A. It is just, it's just what I described, which is,
11 you get a larger maximum investment the longer the
12 term of the contract.

13 Q. [386] And are there other incentives, according to
14 you?

15 A. Oh! yes.

16 Q. [387] Which are?

17 A. Well, you have all kinds of business incentives
18 that are there, and many factors that everyone has
19 to consider in making an investment project. And
20 then, to be honest, Mr. Dunberry raised a number of
21 them, I mean, when you're entering into a contract
22 like this is, you know, do you have the opportunity
23 to use those revenues to fund additional projects,
24 or should those revenues be dedicated to native
25 load customers.

1 I would certainly agree with Mr. Dunberry
2 that that is an incentive that is created, and that
3 is a, you know, very different set of incentives
4 between what the company has proposed and what I
5 propose, which is that those, the ability to use
6 those additional revenues be limited to the
7 assessment of the project at the beginning.

8 Q. [388] And, in your opinion, would you say that the
9 bulk of these incentives are sufficient for
10 customers to be incited or, incentivized to enter
11 into long-term contracts?

12 A. I don't think there is any way to know for certain,
13 and any such incentive is so sensitive to the
14 specific parameters of the project being evaluated
15 that there's too many factors going on to say
16 whether that incentive is going to work or not, or
17 change the decision with respect to the term of the
18 contract.

19 (14 h 56)

20 Q. [389] Ma question s'adressera, la prochaine, à
21 monsieur Cormier. Monsieur Cormier, en termes de
22 principe, vous avez mentionné dans votre mémoire,
23 puis je n'irai pas à un endroit spécifique, puis
24 aussi dans votre présentation hier, de la notion
25 d'équité intergénérationnelle. Pouvez-vous nous en

1 dire un peu plus là-dessus, clarifier votre pensée?
2 À quoi vous référiez quand vous parliez d'équité
3 intergénérationnelle dans le cadre du présent
4 dossier?

5 M. PASCAL CORMIER :

6 R. Je faisais référence spécifiquement au report, aux
7 surplus qu'il pourrait y avoir, surplus de revenus
8 à une année précise qui peuvent être transférés à
9 une année ultérieure. Donc, les bénéfices de ces
10 surplus-là bénéficieraient aux clients de l'année
11 ultérieure. Donc, c'était à ça que je faisais
12 référence. Donc, il y avait des surplus une année à
13 un temps T, puis le bénéfice allait à un temps T
14 plus 1, par exemple, aux clients du temps T plus 1
15 qui n'étaient pas nécessairement les mêmes clients.

16 Q. [390] Une dernière question. Je vous ai cité tantôt
17 en posant la question à monsieur Knecht, là, en fin
18 d'ouverture ou de préparation, la notion de
19 priorité de réservation, l'article 2.2 des Tarifs
20 et conditions. Je me demandais si, quand vous
21 disiez hier dans votre témoignage, et je vous
22 relis, c'était dans les notes sténographiques du
23 cinq (5) février à la page 208 aux lignes 7 et
24 suivantes, vous nous disiez :

25 Autrement dit, avant qu'il y ait un

1 renouvellement, renouvellement...
2 c'est au moment du renouvellement
3 qu'il peut y avoir un compétiteur qui
4 peut dire : « Moi aussi j'aimerais
5 accéder à ça, donc je vais accoter ta
6 demande de renouvellement. »
7 Évidemment, quand c'est trente-cinq
8 (35) ans, ça prend du temps. Donc, je
9 veux juste vous mettre ça en tête,
10 qu'il y a une valeur au transport puis
11 ce transport-là c'est pour accéder au
12 marché.

13 Est-ce que vous réferez à l'article 2.2 des Tarifs
14 et conditions quand vous mentionnez ça?

15 R. Je faisais référence à ma mémoire corporative ou,
16 enfin, professionnelle. C'est arrivé dans le passé
17 que, avec l'expérience que j'ai, qu'on a eu à
18 affronter tel renouvellement. J'ai été impliqué
19 dans des transactions de la sorte. Ma
20 compréhension, c'est que c'est au moment du
21 renouvellement. Il y a un droit de premier... je ne
22 sais pas c'est quoi le terme exact, puis je n'ai
23 pas le numéro d'article exact.

24 Mais c'est quand, mettons un client réserve
25 cinq ans, il fait un renouvellement de... un autre

1 terme de cinq ans, qui est le minimum depuis la
2 décision R-3969 Phase 2, qu'à ce moment-là, au
3 niveau du renouvellement, il pourrait y avoir un
4 compétiteur qui dit, bien moi, je suis prêt à
5 prendre dix ans au lieu de cinq ans. Puis le
6 détenteur du droit a la possibilité d'accoter,
7 dire, moi, je vais prendre dix ans moi aussi pour
8 garder mon droit de renouvellement.

9 Q. [391] Ce qu'on appellerait essentiellement un droit
10 de premier refus.

11 R. Exactement.

12 Q. [392] Puis je ne vous demande pas un terme
13 juridique. Mais dans le langage...

14 R. Je ne suis malheureusement pas avocat, mais ça me
15 semble être le terme.

16 Me LOUIS LEGAULT :

17 Alors, Madame la Présidente, ce sera tout en ce qui
18 concerne mes questions.

19 (15 h 00)

20 LA PRÉSIDENTE :

21 Je vous remercie beaucoup, Maître Legault. Monsieur
22 Pilotto.

23 (15 h 00)

24 EXAMINED BY THE BOARD

25

1 MR. LAURENT PILOTTO:

2 Q. [393] Good afternoon Mr. Knecht. I have a very
3 simple question. I just want to be sure. I refer to
4 your presentation of yesterday. You begin, at page
5 3, you said that you have two concerns with the
6 proposal of carrying forward. And I go on beginning
7 of page 4, at the top of the page you said:

8 Thus, this approach may induce PTP
9 customers to invest in projects which
10 would otherwise be uneconomic...

11 So you are referring there to economic
12 inefficiency. And I just want to be sure that what
13 you are referring to is to PTP customers to invest
14 themselves in inefficiency projects or ask HQT to
15 make some upgrades that will be inefficiency for
16 all the users.

17 A. Yes. I understand the question. In a long-term
18 contract, a point-to-point customer is paying a
19 tariff rate. And it's locked into the contract. It
20 has to make those payments. So, say the customer is
21 paying twenty million dollars (\$20 M) a year in
22 tariff rates, and it's committed, twenty (20) years
23 into the contract, it's committed to paying those
24 for another twenty (20) years. And it's going to
25 pay them whether it uses those revenues or not to

1 invest in future projects. So when that customer,
2 who is paying twenty million dollars (\$20 M) a
3 year, is evaluating a project from his internal
4 standpoint, he says, if, in fact, you allow
5 aggregation, that twenty million dollars (\$20 M) in
6 revenue, could be used to say, "I'm generating this
7 twenty million dollars (\$20 M) in revenue, I've
8 paid off all of the earlier investments, I can use
9 that twenty million dollars (\$20 M) in revenue to
10 go to the Transmitter and say, put this twenty
11 million (20 M) as revenues in your maximum
12 investment test, and tell me how much you will
13 spend on a new project. Say, on the rough order of
14 two hundred million (200 M), associated with the
15 twenty million (20 M) in revenues."

16 So that if, in fact, that customer can use
17 those revenues to justify to be used in the
18 evaluation of a future project, the Transmitter
19 will therefore invest two hundred million (200 M)
20 on behalf of that customer. But from the customer's
21 perspective, that costs nothing. So that if the
22 customer is making, say, a hundred million dollars
23 (\$100 M) in profit on his project without the
24 investment, the overall project would not be cost-
25 effective on a total basis, because the profits are

1 a hundred million (100 M) and the costs of the...
2 The profits before the transmission investment are
3 a hundred million (100 M), the Transmitter is
4 spending two hundred million (200 M) on behalf of
5 the customer.

6 The problem essentially is, is that from
7 the customer's perspective, the customer makes a
8 very rational decision and says, "This investment
9 costs me nothing, so I am going to evaluate the
10 project without considering the cost of
11 transmission." But if you draw the circle of
12 analysis to include the costs and revenues for
13 everyone, the project may not be economic. Because
14 then you have to count the investment made by the
15 Transmitter. Was that clear?

16 Q. [394] Yes.

17 A. It's because there is a free resource that the
18 customer can use, and the customer doesn't include
19 that cost in his calculation, but from the
20 perspective of everyone, from the perspective of
21 overall economic efficiency, that cost is incurred.

22 Q. [395] Okay, it's clear. Thanks. My second question
23 is almost at the very end of your presentation, at
24 page 6. Just before your wrap-up of recommendation.
25 The paragraph before there, you said:

1 And, rather than allow revenues to be
2 used for the life of the contract,
3 revenues would be limited to the first
4 20-year of the contract...

5 In your view, is that solution apply to both native
6 load and PTP customers, or you were focussing on
7 one of them?

8 (15 h 06)

9 A. Okay. What I was trying to get at here is there are
10 two types of tests that we're looking at under
11 Hydro-Québec's proposal. There is the maximum
12 investment test, which you're familiar with, which
13 is a twenty year (20) test based on the first year
14 arithmetic. There is the levelized cost test that
15 is in the famous annex 2, that the company is
16 proposing as the annual follow-up. And what I'm
17 trying to do is make sure that both of those tests
18 are using consistent economic parameters.

19 So, if the maximum investment test uses a
20 twenty year (20) period, then I think the levelized
21 cost test that's in the revenue sufficiency test
22 should also use twenty year (20) parameters. And
23 the way you would then do that within the context
24 of that test would be for any project that's being
25 evaluated, you would only count the revenues for

1 the first twenty (20) years. And in that way, you
2 would have modified the levelized cost test to
3 exclude revenues past twenty (20) years in the same
4 way that you implicitly exclude revenues past
5 twenty (20) years in the maximum investment test.
6 In effect, I believe it would be consistent with
7 one of the proposals on the table in this
8 proceeding to insure that revenues beyond... if you
9 have a twenty year (20) maximum investment test, it
10 would be to insure that revenues from a point-to-
11 point customer, after the first twenty (20) years
12 are only used to offset the cost of the existing
13 system and cannot be used to justify any additional
14 investment by the Transmitter on the... for the
15 benefit of the customer.

16 M. LAURENT PILOTTO:

17 Okay, thank you. Merci aux autres témoins.

18 (15 h 09)

19 Mme LOUISE PELLETIER :

20 Louise Pelletier pour la formation. Monsieur
21 Cormier, je vous référerai à votre présentation
22 d'hier lorsque votre procureur vous a présenté, il
23 a été indiqué que vous aviez participé à la
24 rédaction du mémoire de l'AQCIE-CIFQ de même, si
25 j'ai bien compris, il en était le cas pour

1 messieurs Boulanger et Vézina. Dans votre
2 présentation, je vous amène à la page 8 et c'est
3 sous le thème « Ajouts au réseau pour les clients
4 de point à point ». Le dernier élément de cette
5 page, vous indiquez :

6 Contrairement aux clients de point à
7 point, le Distributeur ne peut
8 utiliser les revenus après vingt (20)
9 ans.

10 Pourriez-vous élaborer un peu plus, je ne suis pas
11 certaine d'avoir saisi exactement ce que vous
12 vouliez dire à ce compte-là.

13 M. PASCAL CORMIER :

14 R. C'est un petit peu ce que monsieur Knecht vient
15 d'expliquer à l'effet que, pour les clients point à
16 point, la proposition qui est faite c'est que,
17 mettons qu'il y a la, on va prendre l'exemple
18 simple de la réservation de l'Ontario mille deux
19 cent cinquante mégawatts (1250 MW) qui est pour
20 cinquante (50) ans, elle a été signée en deux mille
21 six (2006), si je ne m'abuse, enfin, ça dure très,
22 très longtemps.

23 Donc, avec la proposition qui est faite
24 avec la comptabilité annuelle, il pourrait très
25 bien se trouver en deux mille trente (2030), par

1 exemple, où il y a toujours des revenus qui vont
2 provenir de la convention de service associée à
3 l'interconnexion Ontario qui pourrait être utilisée
4 par le Producteur pour, à cette année-là, en deux
5 mille trente (2030), payer pour le branchement
6 d'une nouvelle centrale qui n'apporte pas de revenu
7 supplémentaire, pas nécessairement de revenu
8 supplémentaire, je dois dire. Tandis que ma
9 compréhension du mode de traitement pour les ajouts
10 du Distributeur c'est que le test est fait sur
11 vingt (20) ans et que les hypothèses de revenu sont
12 faites sur les ajouts aux postes satellites pour
13 une période de vingt (20) ans.

14 Ils regardent la capacité qui a été - je
15 vais parler plus lentement, on m'a dit tantôt de
16 parler plus lentement - pour s'assurer que la
17 capacité aux postes satellites pour une durée de
18 vingt (20) ans, c'est vingt (20) ans de revenu
19 associé à capacité ajoutée à ces postes satellites
20 là qui est utilisée. Donc, c'est à ça que je
21 faisais référence, en espérant que vous comprenez
22 mon explication. À ma connaissance, après vingt et
23 un (21) ans, on ne peut plus utiliser ces revenus-
24 là.

25 Q. [396] O.K. Deuxième question qui s'adresserait

1 peut-être aussi à monsieur Boulanger, et c'est un
2 point de clarification. À la page 4 de votre
3 présentation, hier, sous le titre ou sous le thème
4 « Ajouts au réseau pour le Distributeur », le
5 dernier point est essentiellement un sommaire de la
6 recommandation de l'AQCIE-CIFQ qui recommande « que
7 le calcul de l'allocation du Transporteur soit basé
8 sur une période de quarante (40) ans. ».

9 On parle bien de, et je répète, le thème il
10 est « Ajouts au réseau pour le Distributeur ». Dans
11 le mémoire, c'est aussi ce qu'on y lit. Si monsieur
12 Vézina nous a dit hier avec conviction qu'il était
13 inconfortable d'être ici parce qu'il représente, en
14 fait, la charge locale, le Distributeur, et je
15 voudrais clarifier, par rapport à la réponse de
16 monsieur Boulanger ce matin, donnée peut-être dans
17 le feu de l'action suite à des questions, est-ce
18 que la recommandation de l'AQCIE-CIFQ, que la
19 contribution maximale soit calculée sur quarante
20 (40) ans et s'applique uniquement sur les projets
21 du Distributeur ou pour le point à point? La charge
22 locale ou point à point? Monsieur Boulanger nous a
23 laissé entendre que ça s'appliquait aux deux mais
24 je voulais juste le clarifier parce que, du
25 mémoire, j'en retiens que ça s'applique surtout à

1 la charge locale. Alors, peut-être me clarifier cet
2 élément-là s'il vous plaît.

3 M. LUC BOULANGER :

4 R. Dans la recommandation du mémoire de l'AQCIE et du
5 CIFQ ça s'applique aux deux côtés.

6 Q. [397] Parfait. Merci Monsieur Boulanger. Alors, je
7 n'ai pas d'autres questions. Merci.

8 Mr. ROBERT D. KNECHT:

9 A. I would...

10 (15 h 12)

11 Mme LOUISE PELLETIER :

12 Q. [398] Oui? Monsieur Knecht?

13 A. Just, I think...

14 Q. [399] With pleasure.

15 A. ... as a clarification to that, that you would
16 apply and up to a forty year period for point-to-
17 point customers if they signed that long a term
18 contract. It's, if they've only signed a twenty-
19 year contract, you would only apply the test over
20 twenty years, because that is the period over which
21 the revenues are being committed to. Is that
22 correct?

23 M. LUC BOULANGER :

24 R. Oui.

25

1 Mme LOUISE PELLETIER :

2 Q. [400] Okay, and then, Mr. Knecht, I would come back
3 to what you said, I'm not quite sure if it's
4 earlier today or if it was yesterday, a question
5 with regards with the forty years, I believe the
6 question was, "Should it require that service
7 agreements should also be forty years?" And your
8 answer was, "Not necessarily." Is it that if we
9 calculate it on a forty year basis, it does require
10 a service agreement of forty years, is that what I
11 understand?

12 A. For a point-to-point customer, in terms of doing
13 the economic evaluation, you would use the term of
14 the contract for doing the economic evaluation. So
15 if it's a twenty year contract, you would do the
16 evaluation over twenty years; if it's a five year
17 contract, you would do the evaluation over five
18 years.

19 If, in fact, you modify your policy such
20 that you allow native load to use a forty year
21 period for doing the evaluation, then, as a matter
22 of avoiding undue discrimination, you would like to
23 do the same thing to at least allow point-to-point
24 customers to have the opportunity to do that as
25 well, if they enter into a contract that is that

1 long.

2 Q. [401] Okay, very good. Thank you very much for your
3 clarification, and I don't have further questions,
4 unless, Monsieur Cormier, vous avez quelque chose à
5 ajouter, là, à titre de membre de panel?

6 M. PASCAL CORMIER :

7 R. Juste pour ajouter avec, à ce qui a été mentionné
8 par monsieur Knecht, présentement, le test pour
9 les, c'est vingt (20) ans pour les ajouts point à
10 point. Selon ma compréhension, si un client veut
11 uniquement signer une convention de dix (10) ans,
12 évidemment, il va apporter deux fois moins de
13 revenus, là, évidemment, je n'actualise pas, là,
14 mais alors sa contribution va être plus importante.
15 Donc si on passe le test à quarante (40) ans, s'il
16 signe pour vingt (20) ans, il va avoir une
17 contribution plus grande que s'il avait signé un
18 contrat de quarante (40) ans apportant des revenus
19 pendant quarante (40) ans.

20 Mme LOUISE PELLETIER :

21 Parfait, merci. Alors merci aux membres du panel,
22 je n'ai pas d'autres questions. Madame?

23 LA PRÉSIDENTE :

24 Merci, Madame Pelletier. Deux questions.

25 Q. [402] La première question, en fait, les deux

1 questions sont pour monsieur Knecht, so I'll
2 switch, I'll try to switch in English and you'll
3 see. UC, Me Sicard asked Ms. Chang what was the
4 appropriate factor to consider in calculating the
5 maximal allowance for variable resources, and she
6 said, Ms. Chang said that the capacity at its
7 maximum should be taking into account its maximum
8 output for the Transmitter. For planning purposes,
9 when you have variable resources, you should take
10 the maximum output from a planning perspective.

11 I would like to have your view on this, and
12 in your experience in the United States, how is, we
13 know for the planification purposes but on the
14 allocation on the rates, how does it, how do you
15 include it, do you go for the revenue, because
16 variable resources often times, with the wind
17 power, you have thirty to thirty-five percent (30-
18 35%) of here, it's revenue, and, or do you go for
19 the maximum power, maximum output -- sorry -- for
20 planification purposes? I don't know if I'm clear.

21 (15 h 17)

22 A. I remember the question and answer, and I
23 understand the issue that you're getting at. I'm
24 not sure I can tell you what the policy is in the
25 United States with respect to those, those kinds of

1 things, but I have kind of a simple, a simple view
2 of costs related to what they call "generation
3 integration", that is integrating a new generator
4 into the system, it's that unless there is some
5 revenue associated with that, there is no maximum
6 investment, because it's only revenue to the
7 Transmitter that provides, that gives the, that is
8 essentially used to pay for the costs, the
9 incremental costs incurred by the Transmitter.

10 If it's a generator attachment, and there
11 is no service agreement, and there is no agreement
12 that there is going to be any payments, then it
13 doesn't matter what the capacity of the resource
14 is, or that it is variable resource, or firm
15 resource, or anything else. The only thing that
16 matters is, what is in the agreement, for how much
17 revenue the Transmitter is going to earn related to
18 that project.

19 So, you know, whether you are using the
20 upgraded capacity of the unit, or you are using the
21 thirty-five percent (35%) capacity factor of the
22 unit, what is important in the evaluation is what
23 kind of revenue is being generated. So that if
24 there were an agreement between the Transmitter and
25 the generator to, for the generator to pay rates,

1 to enter into an agreement to pay rates, then the
2 correct kW to use in the maximum investment
3 calculation is the same kW that was used in the
4 service agreement to figure out how much the
5 customer is paying.

6 Q. [403] So you...

7 A. Now this gets, this may get into some of the
8 subtleties of HQT's proposal that I may not fully
9 understand, but from a conceptual economic
10 standpoint...

11 Q. [404] You would attach the maximum allowance to the
12 revenue that the Transmitter would get?

13 A. That's right. So that if there was an agreement
14 with it from the generator that said that, "I'm
15 going to pay you seventy-four dollars and sixty-
16 five cents (\$74.65) per kW for three hundred (300)
17 kW", then three hundred (300) is the kw you use for
18 the maximum investment credit.

19 Q. [405] Thank you. And the last question is mostly
20 just to come back a bit to what you said, the
21 discussion you had with Mr. Pilotto. You talked
22 about economic efficiency and the incentive for a
23 customer to have a long-term contract. As you know,
24 we have to do a balance between everyone, in
25 everyone's interest, what would be your take on the

1 right balance between the economic efficiency and
2 the incentive for a customer to go on a long-term
3 contract, a twenty year contract or, let's say?

4 She is telling me that "trade-off" may be
5 the better word in English, what would be the
6 trade-off?

7 A. Yes, there is a trade-off, there is a trade-off I
8 think, and there is some value to longer term
9 contracts, both from the perspective of the
10 Transmitter and the Transmitter's ratepayers,
11 because the longer term contract will provide more
12 stability in revenues. And so, the advantage of
13 perhaps having a longer term contract gives you
14 more certainty about what the revenue requirement
15 is going to look like, it will give you more stable
16 rates over time.

17 I think you heard Hydro-Québec say it also
18 provides a greater benefit, a longer term point-to-
19 point contract may provide a greater benefit to
20 native load or to all the customers on the system,
21 and I would agree with that but only, only if the
22 point-to-point customer is paying more than
23 incremental costs. If in fact the mechanism is
24 structured such that the point-to-point customer is
25 only paying the incremental costs, then there is no

1 net benefit to the rest of the system.

2 (15 h 24)

3 So I think the trade-off, the advantages of
4 the longer term contracts are essentially in
5 certainty, and revenue stability, and those kind of
6 issues. The economic efficiency arguments are very
7 hard to judge, and they go somewhat beyond even
8 just looking at the impact on the Transmitter, but
9 the essential risk there is that by allowing you to
10 use the revenues to invest in future projects at
11 essentially no cost to yourself may mean that you
12 are implicitly requiring all customers on the
13 system to fund a project that is not economic, to
14 invest in an overall project that is a money loser
15 and it's very hard to put a number on that because
16 any such evaluation will be specific to the
17 project. So the trade-off is rate stability and
18 certainty against possibly investing in projects at
19 the expense of ratepayers that are uneconomic.

20 Q. [406] Thank you. Monsieur Cormier, je vous vois...

21 M. PASCAL CORMIER :

22 R. Oui, j'ai, par rapport aux incitatifs, je vais
23 aller dans un autre angle. Avec la proposition qui
24 est faite par le Transporteur, le Producteur -
25 c'est lui qui est concerné principalement par la

1 proposition - pourrait très bien, s'il a une année
2 précise des excédents de revenu, financer ou,
3 enfin, aller voir le Transporteur, dire « Branche
4 ma centrale puis socialise une partie des coûts
5 étant donné que je t'apporte des revenus
6 supplémentaires dans le calcul annuel. »

7 Ça, c'est l'incitatif qu'il a à avoir des
8 réservations long terme. C'est certainement un des
9 incitatifs. Je vais vous donner l'exemple : le même
10 producteur, il y a une nouvelle interconnexion qui
11 se construit, pourrait très bien utiliser les
12 surplus disponibles pour payer le, pour la
13 construction de l'interconnexion.

14 Par contre, il fait ça, il ne prend pas de
15 réservations long terme sur cette nouvelle
16 interconnexion là, un compétiteur pourrait très
17 bien arriver, dire « Moi, je prends vingt (20) ans
18 pour accéder à la Nouvelle-Angleterre. » donc,
19 juste avoir ça en tête qu'il y a des incitatifs
20 autres que l'incitatif à utiliser des conventions
21 long terme pour financer les branchements des
22 centrales qui n'apportent pas nécessairement de
23 nouveaux revenus. Il y a les incitatifs, comme je
24 viens de mentionner, pour accéder au marché. Je
25 l'ai dit hier, mais je pense que ça clarifie un peu

1 la réflexion à savoir qu'il n'y a pas juste un
2 incitatif, c'est plus complexe que ça. Merci.

3 Q. [407] Je vous remercie beaucoup. En fait, ça
4 termine mes questions, ma période de questions.
5 Avez-vous un réinterrogatoire?

6 Me PIERRE PELLETTIER :
7 Je vais juste vérifier.

8 LA PRÉSIDENTE :
9 Merci.

10 Me PIERRE PELLETTIER :
11 C'est un exercice périlleux que de me rendre
12 jusqu'à mes clients et en revenir.

13 LA PRÉSIDENTE :
14 À plus d'un égard.

15 Me PIERRE PELLETTIER :
16 Un seul élément additionnel, Mr. Knecht would like
17 to add a word about neutrality. There were
18 questions this morning with respect to tariff
19 neutrality and he would like to add...

20 THE PRESIDENT:
21 So your question to him is about neutrality?

22 Me PIERRE PELLETTIER:
23 I beg your pardon?

24 THE PRESIDENT:
25 Your question... Excusez-moi, j'ai oublié. Alors,

1 votre question à monsieur Knecht c'est à propos de
2 la neutralité?

3 (15 h 27)

4 Me PIERRE PELLETIER:

5 Yes.

6 THE PRESIDENT:

7 Thank you.

8 Dr. ROBERT D. KNECHT:

9 R. There is just one point I wanted to add from the
10 perspective of native load and my clients. When we
11 were looking earlier, Mr. Dunberry was carrying me
12 through the history of the transmission rates and
13 was pointing out, I think, quite correctly that
14 they have been relatively stable and that that's a
15 good thing and that maybe that stability resulted
16 from a conservative maximum investment policy.

17 And that is, there is an attractive feature
18 of that but I think you have to remember that from
19 the perspective of the customers, it's not just the
20 transmission rate that they see when you talk about
21 rate stability because they are going to have to
22 pay not only the transmission rates but I'm quite
23 sure that when the Distributor makes a
24 contribution, the Distributor is going to want to
25 recover those funds from its customers so that,

1 from their perspective, rate stability involves
2 both what the transmission rate is and what the
3 contribution of the Distributor is.

4 THE PRESIDENT:

5 Thank you. Avez-vous d'autres questions pour vos
6 témoins?

7 Me PIERRE PELLETIER :

8 Non, ça clôt notre preuve, je vous remercie.

9 LA PRÉSIDENTE :

10 Alors, je vous remercie beaucoup. Je vais libérer
11 les témoins. Merci beaucoup. Il est trois heures
12 trente (15 h 30), on va terminer avec ça
13 aujourd'hui, vendredi. Alors, on va se revoir lundi
14 prochain à neuf heures (9 h 00) avec la preuve de
15 UC. Alors là-dessus, je vous remercie, je vous
16 souhaite une très bonne fin de semaine.

17

18 AJOURNEMENT DE L'AUDIENCE

19

20

1 SERMENT D'OFFICE :

2 Je soussigné, Claude Morin, sténographe officiel,
3 certifie sous mon serment d'office, que les pages
4 qui précèdent sont et contiennent la transcription
5 exacte et fidèle des notes recueillies par moi au
6 moyen du sténomasque, le tout conformément à la
7 Loi.

8

9 ET J'AI SIGNE:

10

11

12

Sténographe officiel. 200569-7