

RÉGIE DE L'ÉNERGIE

DEMANDE CONJOINTE RELATIVE À
LA FIXATION DE TAUX DE RENDEMENT
ET DE STRUCTURES DE CAPITAL

DOSSIER : R-4156-2021 PHASE 2

RÉGISSEURS : M. JOCELIN DUMAS, président
Me LISE DUQUETTE
Mme ESTHER FALARDEAU

AUDIENCE DU 15 JUIN 2022
PAR VISIOCONFÉRENCE

VOLUME 3

CLAUDE MORIN
Sténographe officiel

COMPARUTIONS :

Me LOUIS LEGAULT
Me AMÉLIE CARDINAL
avocats de la Régie

DEMANDERESSES :

Me MARIE-PIER CLOUTIER
Me PATRICK OUELLET
avocats d'Énergir

Me ADINA GEORGESCU
avocate de Gazifère et de Intragaz

INTERVENANTS :

Me PAULE HAMELIN
avocate de l'Association des consommateurs
industriels de gaz (ACIG);

Me STEVE CADRIN
avocat de l'Association hôtellerie Québec et de
l'Association restauration Québec (AHQ-ARQ);

Me ANDRÉ TURMEL
Me GAËLLE OBADIA
avocats de la Fédération canadienne de l'entreprise
indépendante (FCEI);

Me ÉRIC McDEVITT DAVID
avocat de Option consommateurs (OC).

TABLE DES MATIÈRES

	<u>PAGE</u>
LISTE DES ENGAGEMENTS	4
PRÉLIMINAIRES	5
Dr. TOBY BROWN	
CROSS-EXAMINED BY Me ÉRIC McDEVITT DAVID	6
CROSS-EXAMINED BY Me PAULE HAMELIN	33
CROSS-EXAMINED BY Me ANDRÉ TURMEL	61
EXAMINED BY THE FORMATION	73
PREUVE DES DEMANDERESSES - Panel 5 - Détermination du taux de rendement et structures de capital présumée des demanderesses	
Dre BENTE VILLADSEN	
EXAMINED BY Me PATRICK OUELLET	81
CROSS-EXAMINED BY Me PAULE HAMELIN	147

LISTE DES ENGAGEMENTS

PAGE

E-3 EGI :	Percentage of the gas distribution business in Chesapeake Utilities (Demandé par ACIG)	50
-----------	--	----

1 L'AN DEUX MILLE VINGT-DEUX (2022), ce quinzième
2 (15e) jour du mois de juin :

3

4 PRÉLIMINAIRES

5

6 LA GREFFIÈRE :

7 Protocole d'ouverture. Audience du quinze (15) juin
8 deux mille vingt-deux (2022) par visioconférence.
9 Dossier R-4156-2021 Phase 2 : Demande conjointe
10 relative à la fixation de taux de rendement et de
11 structures de capital. Poursuite de l'audience.

12 LE PRÉSIDENT :

13 Bonjour à tous. Good morning mister Brown. Alors,
14 nous sommes prêts, à moins qu'il y ait des
15 questions préliminaires, on serait prêts à
16 poursuivre l'interrogatoire avec maître David.

17 Me PATRICK OUELLET :

18 Oui. En fait si vous me permettez, Monsieur le
19 Président. On a été informé hier qu'il y avait des
20 difficultés au niveau de la traduction, parce que
21 c'était peut-être pas assez fort le volume du
22 témoignage du docteur Brown. Donc, on a changé le
23 « set up ». Mais si c'est encore le cas, ce n'est
24 pas impossible que j'intervienne pour lui dire de
25 parler plus fort, parce qu'on nous a avisé de

1 difficultés hier.

2 LE PRÉSIDENT :

3 Très bien.

4

5 IN THE YEAR TWO THOUSAND TWENTY TWO, on this
6 fifteenth (15th) day of June, PERSONALLY CAME AND
7 APPEARED:

8

9 Dr. TOBY BROWN,

10

11 WHO, after having made a solemn affirmation, doth
12 depose and saith as follows:

13

14 CROSS-EXAMINED BY Me ÉRIC McDEVITT DAVID :

15 Bonjour, Monsieur le Président; bonjour à la
16 formation. Good morning, doctor Brown.

17 Q. **[1]** Before I continue with the questions I had
18 prepared, I want to go back to one of the issues
19 that we discussed yesterday, and in... Well, it's
20 actually mentioned in your PowerPoint presentation,
21 so perhaps if the clerk could put it on the screen.
22 La présentation de Dr Brown, Madame la Greffière,
23 la page 4. Merci.

24

25 Just a second. Okay. So, it's the last
bullet that I just wanted to clarify. Because you

1 say here that investors are not bearing stranding
2 risk, and then you go on :

3 Investors expect to earn the
4 authorized return and to recover all
5 prudently-invested capital.

6 The regulatory compact implies that
7 the regulatory framework will adapt if
8 necessary.

9 But uncertainty about how this will be
10 achieved is a component of business
11 risk.

12 So, if I'm not mistaken, yesterday in your
13 testimony what you said in a nutshell was that
14 risk... the risk is not that the Utilities would
15 not recover the assets, but rather the risk lies in
16 how the capital would be recovered. Did I
17 understand correctly?

18 Me PATRICK OUELLET :

19 We can't hear you, Dr. Brown. Okay. I heard that
20 yes was the answer. We'll try to fix the... the
21 sound. Donc, il va changer d'appareil tout
22 simplement, là, on va régler le problème.

23 R. How is this?

24 Me ÉRIC McDEVITT DAVID :

25 Much better.

1 R. Okay. Okay. I will try to speak more loudly.

2 Q. **[2]** Okay. So, I'll just repeat the question, so
3 that the stenographer can note your answer. My
4 question was -- and I want you to clarify if that's
5 not the case -- I understood from your testimony
6 yesterday that you said that the risk regarding
7 capital recovery is not so much that the Utilities
8 can't recover their assets, the risk is rather that
9 in how they can... in how the capital can be
10 recovered. Is that correct?

11 R. Yes.

12 Q. **[3]** Okay. And can you explain to us a bit more what
13 you mean by that, what do you mean by « how the
14 capital will be recovered »? Are you saying that
15 you see evidence that the regulatory compact could
16 change, that the way the three Utilities are
17 regulated could change in the next few years?

18 R. I think at some point perhaps in my testimony or if
19 not in the testimony and in IR response, I gave an
20 example of smart meters. So, perhaps I can just
21 talk briefly using that example.

22 So, various utilities in the recent past
23 have decided that it would be beneficial to install
24 smart meters, meters with more functionalities than
25 the traditional meter. And often it happens that

1 the process of installing those meters is more
2 efficient if you install essentially all of them at
3 the same time rather than waiting for the
4 traditional meters to break down, sort of customer
5 by customer. And therefore, if a utility proceeds
6 to install the smart meters, it is likely that at
7 least some of the traditional meters that are being
8 replaced may not have been fully recovered, and
9 therefore there would be outstanding, undepreciated
10 amounts which ordinarily would be recovered over
11 time. But because the meters are being removed from
12 service, if nothing else happens, that recovery
13 would stop. And so, a utility in that... in that
14 circumstance would typically need to come before
15 the regulator to seek permission to replace the
16 meters and to transfer the undepreciated balance of
17 the traditional meters into some kind of accounts
18 where it would then be amortized over time, so the
19 utility would be seeking to recover the outstanding
20 amounts of the traditional meters, even though
21 those meters are no longer in service. And so, that
22 would be an example of where some kind of
23 regulatory action is required in order that prudent
24 investment, in this case traditional meters, can
25 continue to be recovered.

1 And so, that's an example of the type of
2 change that I'm talking about. It's not a change in
3 the regulatory compact. The regulatory compact,
4 well it all depends, everything we're talking about
5 is that investors have a reasonable opportunity to
6 earn the fair return on prudently-invested capital.
7 It's just that in order for... in order to maintain
8 that reasonable opportunity, the framework... the
9 regulator may need to take action of some kind and
10 it's that need to come before the regulator and to
11 present a case and not necessarily knowing the
12 outcome or what else might happen that is a source
13 of uncertainty.

14 Q. **[4]** Okay. Well, in fact, this very issue has
15 already been tackled by the Régie de l'énergie
16 because the electricity distributor a few years
17 ago, up four or five years ago, did a massive
18 switch to smart meters, and all of this went before
19 the Régie, all of this was authorized by the Régie,
20 and I... to be honest, I hesitate to say this
21 because I don't want to testify, but my
22 understanding of that case is that all of the
23 capital involved in this transition was recovered
24 by Hydro-Québec. And so, the history of the
25 regulation at the Régie de l'énergie doesn't really

1 indicate that there would be any risk with respect
2 to the gas utilities changing to smart meters.

3 In any event, even if there was, could you
4 explain to us in more detail how exactly investors
5 would be prejudiced?

6 R. Well, perhaps I can just step back again and...you
7 know, if we think from the perspective of an
8 investor in utilities, in utility assets, what
9 is... what is that investor doing when it... when
10 the investor makes... makes an investment? They are
11 purchasing assets which in the case of the gas
12 utilities are literally in the ground. Those assets
13 have a very long economic life. And they have
14 essentially no alternative use. If utilities assets
15 are not being used to provide utility service,
16 there is really nothing else you can do with them
17 except, perhaps, sell them for scrap or something.
18 The alternative use is minimal and so, really, that
19 act of investing is in some sense quite risky
20 because you're making a very long term commitment
21 and you got no option after you've made your
22 commitment to do anything else but sit there. And
23 so, that, the starting point is, is really one of,
24 of some exposure from the investor perspective. And
25 that's why we have this operator... Utility

1 regulation and, and rules about how Utilities
2 regulation works and adherence to precedents and so
3 on, to create the environment we have today in
4 which Utilities investing is low risk. It's low
5 risk and therefore utilities can attract investment
6 at relative low cost relative to other types of
7 companies and other types of economic activity out
8 in the market. That's of course beneficial for
9 customers and that's why we should expect
10 regulators to do what is necessary to maintain a
11 low risk environment and by in large they do.

12 But nonetheless, from an investor
13 perspective, as I think I may have said yesterday,
14 given, given the choice between a utility that can
15 sort of continue operating as normal not facing any
16 new risks or any requirements to change its
17 operations or his business plan, it's that one
18 choice. And the other choice is the utility that
19 needs to do things differently in the future and
20 come before the regulator and all sort of the
21 things and so on. The second utility has more
22 uncertainty than the first and therefore, have a
23 margin or in... within a range such as the range
24 that doctor Villadsen has from her sample. The
25 second utility needs, needs to be higher in that

1 range than the first.

2 Q. **[5]** Okay. I understand your answer on a theoretical
3 level, but I submit you that the history of
4 regulation before the Régie de l'Énergie, doesn't
5 support your concerns. And that there is no
6 generalise concerns for the recovery of capital
7 assets and there is no general concerns, if you
8 look at the history of the regulation here, of
9 stranded assets.

10 But if you permit, I'd like to move away
11 from theoretical discussions to more factual
12 discussions because the Board has to make a
13 decision based not just on theory. It has to make a
14 decision based on facts. So, I understand from the
15 Aviseo report, that Aviseo identified five business
16 risks that are of particular relevance to the three
17 Quebec Utilities, and I summarize them once again.
18 First is Public and environmental policies. Second
19 is Composition of a customer base. That's the
20 residential industrial balance if you wish. The
21 third is that the fact that energy context in
22 Quebec is different because here electricity is
23 cheaper. Business size, gas utilities here are
24 relatively small comparative other North American
25 gas utilities and business partnership. Now is it

1 the case that these five risks identified by
2 Aviseo, or at least most of them, have already
3 existed for a long time in Quebec ? These are not
4 new? Is that correct?

5 R. Hum. I haven't studied the history of the Quebec
6 Utilities. I'm really making a point in time
7 assessment and doing the best I can to compare the
8 situation of the Quebec Utilities with the
9 situation of doctor Villadsen's sample. So I can't
10 really comment on the extent to which things...
11 well I certainly can't comment in details on the
12 extent which things have change over time.

13 Q. **[6]** So you can't really comment on the evolution of
14 risk of the Quebec Utilities?

15 R. No.

16 Q. **[7]** O.K. Well, I'd like to, Madame la Greffière, if
17 you could put an exhibit on the screen: B-0131. Oh
18 sorry. So if you can turn to the bottom page of the
19 second page, Madame la Greffière. And I don't know
20 if it's possible to make it bigger or to remove the
21 left hand margin. Est-ce que c'est possible
22 d'enlever... oui exact. O.K. c'est correct comme
23 ça. Peut-être le monter un peu. Parfait. So, this
24 is a table that was prepared, I believe at the
25 request of the Régie. And what it does is that it

1 compares the allowed and the achieved rate of
2 return for Énergir, Intragaz and Gazifère so. On
3 the left hand you have Énergir, and you have on the
4 extreme left the authorised rate year to year. So
5 we see two thousand two (2002) was 9.89. And then
6 the most recent rate, in twenty twenty-one (2021)
7 8.9. On the second column entitled « Taux » T-A-U-X
8 that's the achieved rates. So you see in two
9 thousand two (2002) we had 10.67 and in two
10 thousand twenty-one (2021) we are at 9.40.

11 So, Madame la Greffière, if you could move
12 towards the right of that chart. The same exercise
13 is done with Intragaz. Although we don't seem to
14 have the detail for the allowed rates year to year
15 for Intragaz. I'm not quite sure why, but it
16 doesn't really matter. And if you go to the extreme
17 right, you have Gazifère. And again you have a left
18 hand column "allowed rate" and the right hand
19 column is the "achieved rate".

20 Now, when I look at these numbers, I note
21 that Énergir and Gazifère have always been at or
22 above the allowed rate of return. So, clearly, up
23 till now, at least for the last twenty (20) years,
24 the five business risks that have been identified
25 by Aviseo, have not affected the three companies

1 ability to earn a good return for their
2 shareholders. Would you agree with me? Based on
3 these facts.

4 R. Well, the numbers are the numbers. The achieved
5 return is on average about the authorised return
6 and in almost all of the years, I think that this
7 also true. This is not the return that... well
8 investors obviously care about the returns that
9 they receive. And as I've said many times,
10 fundamentally, the Utility has long-lived assets
11 and so the investors won't have recover their
12 investments until thirty (30) or forty (40) years.
13 A history of... we have a history of twenty (20)
14 years also, here. It's history. Investors need to
15 look forward. And so what's, what's relevant for an
16 investor contemplating making an investment now is
17 being able to recover invested capital over the
18 next thirty (30) or forty (40) years. And so, the
19 investor needs to, needs to look to the future.

20 Q. **[8]** Okay. But when the Régie is setting a rate how
21 far forward does the Régie need to look? Is it
22 being called upon to look thirty (30) to forty (40)
23 years ahead?

24 R. In assessing business risk, yes.

25 Q. **[9]** So it's not immediate risk that needs to be

1 assessed in your view? Imminent risk?

2 R. What? Oh oh elements of business risk that's
3 fundamentally it's a long-term assessment because
4 the assets are long-lived.

5 Q. **[10]** Alright. Now when I look at these results what
6 I surmise is that the rate of return seems to be
7 impervious to all external elements. To all
8 external variants. Even those of a global or
9 historical scale because I see no impact on the
10 rate of return related to the two thousand eight
11 (2008) economic crisis. The global economic crisis.

12 I see no impact on the rate of return
13 related to the application of the carbon tax on the
14 gas utilities in Quebec since two thousand fifteen
15 (2015). I see no impact on the rate of return
16 related to the pandemic although maybe some...
17 Maybe the two thousand twenty-one (2021) numbers
18 don't include all of the impact of the pandemic. So
19 far I see no impact.

20 I see no impact related to weather
21 variations. In other words distinguishing very cold
22 winters from very mild winters.

23 I submit to you that very few companies
24 have this kind of stability in their rate of
25 return. Would you agree?

1 R. If you mean companies in the economy generally then
2 yes. If you mean utilities I would expect very many
3 of them to show stable returns over time.

4 Q. **[11]** And doesn't this generally point to very low
5 business risk?

6 R. Again relative to companies in the economy
7 generally, yes. Utilities have low business risk
8 but that's not really relevant to the present
9 exercise because in order to meet fair return
10 standard we have to compare. We have to set the...
11 Régie has to set the authorized rate of return
12 relative to returns investors can get from other
13 investments of similar risk and so that means other
14 investments of relatively low risk.

15 Q. **[12]** Okay. I'd like to now examine the issue of
16 regulatory lag because you state that this is one
17 of the components of business risk. You also state
18 that the US sample, Dr. Villadsen US sample has a
19 similar regulatory lag to Énergir and Gazifère. Is
20 that correct?

21 R. Yes. Broadly speaking.

22 Q. **[13]** Okay. Well page 27, page 29, that's what you
23 state. If a utility had no regulatory lag, none,
24 how would their achieved rate of return compare
25 with their allowed rate of return? Would they be

1 the same or very close?

2 R. Yes.

3 Q. **[14]** And would that relationship show a lot of
4 variation from year to year?

5 R. I would expect with no regulatory lag, I would
6 expect the achieved return to be close to the
7 authorized return in each year.

8 Q. **[15]** Okay. And when developing your testimony did
9 you review the returns earned by the US sample?

10 R. No.

11 Q. **[16]** And why didn't you study this? You stated in
12 your report that volatility in returns and
13 regulatory lag are closely related but you didn't
14 look at this before concluding that the regulatory
15 lag of the Quebec Utilities and the US sample are
16 similar?

17 R. No. For a couple of reasons. Well one straight
18 forward one is that I don't have the data on
19 achieved returns for the US sample, but even if I
20 did I'm not sure that that's the best way to assess
21 regulatory lag on a forward looking basis because
22 there could be other things showing up in
23 historical achieved returns.

24 There could be things, factors influencing
25 achieved returns in the past which are just not

1 relevant in the future. But in any event I don't
2 have the numbers so that's not something I would
3 I've been able to do.

4 What I did do is spend some effort in
5 trying to understand what mechanisms are available
6 to the sample utilities for rate making purposes
7 and to understand on that basis to try and
8 understand whether changes in costs or new costs
9 that appear over time can those new costs be...
10 Can they result in an adjustment to rates
11 relatively quickly or not and that's what I mean by
12 regulatory lag and so that's why I... And I think
13 we've looked yesterday at a... I heard a summary of
14 the mechanisms that are available and many of the
15 sample companies do have mechanisms to adjust rates
16 without a full-blown rate case; and on that basis I
17 judge the regulatory lag to be relatively short as
18 it is in Québec.

19 Q. **[17]** Okay. So you would agree that regulatory
20 lag... There isn't much regulatory lag in Quebec.

21 R. That's my understanding.

22 Q. **[18]** Okay. On the issue of the share of gas being
23 used in Quebec the fact that there's less
24 residential heating in Quebec done through natural
25 gas as opposed to electricity, on pages 23 to 26 of

1 your report you compare the gas share of
2 residential energy consumption Quebec with those of
3 the US sample.

4 So my question is the share of residential
5 energy use that comes from gas a component used in
6 setting gas rates?

7 R. No.

8 Q. **[19]** And does the share of residential energy use
9 feature in any formula for utility shareholder
10 returns?

11 R. I'm not quite sure what you mean by formula for
12 returns but I'm happy to...

13 Q. **[20]** Because if...

14 R. ... accept that regulators setting utility rates do
15 not need to look at... Will not look at the share
16 of natural gas in household energy consumption in
17 any sort of formulaic way.

18 Q. **[21]** And isn't that also the case when a regulator
19 is setting the return? The rate of return?

20 R. I would be surprised if any of the US regulators,
21 you know, that I've been examining would be
22 interested in the share of natural gas in the
23 household energy mix.

24 Q. **[22]** You would be surprised if they were
25 interested? And would that be...

1 R. I would.

2 Q. **[23]** ... the case with Canadian regulators as well?

3 R. Well...

4 Q. **[24]** You could be surprised?

5 R. I guess right now with... We're talking about the
6 business risk of the Quebec Utilities and I
7 wouldn't... The reason that I have put some
8 statistics about the share of natural gas in
9 household energy use in my testimony it's because I
10 think that it is a... It is one measure which
11 illustrates the fact that natural gas in Quebec is
12 in a different position than natural gas in other
13 locations in North America and in my opinion that
14 difference of situation is a relevant consideration
15 for this analysis of business risk.

16 Q. **[25]** Does your testimony show a causal connection
17 between this variable, in other words the share of
18 residential heating done by gas, and the volatility
19 in shareholder returns?

20 R. Those two things are not connected as far as I
21 know.

22 Q. **[26]** They're not connected. Okay. And does your
23 testimony show a causal connection between this
24 variable and capital recovery risk?

25 R. I... in my opinion, capital recovery risk or

1 uncertainty in capital recovery is higher in Quebec
2 than in other jurisdictions, and the reason or the
3 reasons why it is higher include the availability
4 of plentiful cheap clean electricity in Quebec or
5 cheaper and cleaner than in other locations in
6 North America. And so, there is... there is a
7 connection.

8 Q. **[27]** Okay. I'd like to move on to another topic,
9 the issue of potential public policies that would
10 restrict new gas connections. Both you and Aviseo
11 talked at length about potential policies that
12 could restrict the use of gas in the future. A
13 typical rate case uses a single test year when
14 determining the revenue requirement, is that
15 correct?

16 R. That's commonly done, yes.

17 Q. **[28]** Yes. And that revenue requirement is designed
18 to allow the utility to recover its operating
19 costs, its depreciation on previously invested
20 capital and a return on that capital. Is that
21 correct?

22 R. Yes, that's fair in the test year.

23 Q. **[29]** Does a typical revenue requirement include
24 recovery of or return on capital not yet invested
25 for customer growth after the test year?

1 R. I'm sorry. Could you repeat that question, please?

2 Q. **[30]** Does a typical revenue requirement include
3 recovery of or return on capital not yet invested
4 or customer growth after the test year?

5 R. No.

6 Q. **[31]** So, for a gas utility with frequent rate cases
7 and with a low regulatory lag, policies that
8 restrict new gas connections have no impact on year
9 to year volatility in returns. Would you agree with
10 that?

11 R. I... I would agree that these public policy
12 initiatives that we're talking about do not have an
13 impact on volatility of returns from one period to
14 the next. Their impacts is on uncertainty of
15 capital recovery over the long term.

16 Q. **[32]** Do such policies impede the ability of the
17 utility to recover the capital used to serve its
18 existing customers?

19 R. I'm not sure what you mean by "impede", but it
20 creates uncertainty about being able to recover the
21 capital invested to serve existing customers in the
22 future.

23 Q. **[33]** In the future, but not in the yearly rate
24 case?

25 R. Well, the existing assets have a life of thirty

1 (30) to forty (40) years, and... so, if you string
2 together the thirty (30) or forty (40) years you'll
3 eventually recover all of the capital, but in order
4 to do that you'll be... investors will be
5 confronting various kind of uncertainties and new
6 initiatives and what have you, which... and that's
7 the uncertainty that I'm talking about.

8 Q. [34] But these are potential future uncertainties.
9 These risks are not immediate. Are they?

10 R. Well, I don't think there is any kind of answer to
11 other than a future uncertainty. As I said...

12 Q. [35] Well, future is a big, future is a big word?
13 Right? It can cover tomorrow and it can cover forty
14 (40) years from now. I'm talking in the timeframe
15 that a regulator uses, when it sets yearly rates,
16 that's the timeframe I'm talking about.

17 R. Most of the uncertainty is further in the future
18 then the next rate case. But equally most of the
19 capital recovery is not happening in this year, or
20 next year or the year after. It's happening
21 further into the future. And therefore, when
22 assessing business risks, the time horizon that
23 needs to be employed is a long term one.

24 Q. [36] Alright. I'd like to move on to the issue of
25 competition from electricity which is another of

1 the business risks identified by Aviseo. Does your
2 testimony include an evaluation of the natural gas
3 rates charge by the US sample?

4 R. No.

5 Q. **[37]** And have you conducted any analysis of how the
6 rates for electricity and gas compare in the
7 jurisdiction covered by the US sample?

8 R. Heu.. I haven't lined them up side by side. What I
9 have done is state that across the US a whole,
10 electricity rates for households are between two
11 times and five times higher than they are in
12 Quebec. I'm not aware of any reason why natural gas
13 rates would vary over that same range.

14 Q. **[38]** But you'll agree with me that in order to
15 understand the impact of the relative rates of
16 electricity and gas, and to see whether or not this
17 constitutes a business risk, you need to compare
18 apples with apples and therefore in the US you
19 would have to compare the electricity and gas
20 rates. If you making the analysis that in Quebec,
21 there is a great disparity and you're saying in the
22 US is a less disparity, how do know that to be the
23 case? If you haven't look at the rate of gas?

24 R. Perhaps I can say that my analysis rest on the
25 assumption that natural gas rates for households as

1 between Quebec and the United States do not vary by
2 as much as electricity rates do. And I think that's
3 a reasonable assumption.

4 Q. **[39]** Is it possible that the US gas sample gas
5 rates are lower than the rates charged by Énergir
6 and Gazifère?

7 R. It's certainly possible. But I would be extremely
8 surprised if the gas rates were half or one fifth
9 of the rates charged by Gazifère and Énergir.

10 Q. **[40]** Okay. And when analysing the relative
11 competitiveness of electricity and gas would it
12 matter whether you were doing the calculations for
13 a colder or a warmer location? In other words,
14 locations that have different heating loads and
15 different heating system performance.

16 R. If you... that may be a relevant consideration,
17 yes. I suppose you may also need to understand
18 about housing stock and insulation and some other
19 things.

20 Q. **[41]** Right. But again, you have not presented any
21 quantitative evidence about the competition risks
22 of the Quebec Utilities relative to electricity?

23 R. No. Not more than what I've said, no.

24 Q. **[42]** Well, you did present some quantitative
25 evidence in table 4. Page 23 of your report which

1 demonstrates that Énergir continues to see
2 customers growth comparable to the US sample
3 despite the so called competition coming from the
4 lower Quebec electricity rates. Is that correct?

5 R. That is correct.

6 Q. **[43]** Have you presented any evidence of a different
7 competition risk between the Quebec Utilities and
8 the US sample other than simply asserting that the
9 Quebec Utilities face a higher competition risk?

10 R. The evidence I've presented is that electricity is
11 much cheaper in Quebec than it is in the US and is
12 also greener.

13 Q. **[44]** Okay. But no... Alright. I won't belabour
14 the point. So I'd like to get back to the issue of
15 bi-energy and the reason why I'm coming back to
16 this issue is because bi-energy is a game changer.
17 Right? Protects Énergir from a lot if not most of
18 the risk, maybe all of the risk associated with
19 energy transition. It isolates it. It prevents it
20 in falling into a death spiral.

21 So if Énergir or Gazifère were to sell
22 fewer "terms" of gas on a steadily declining
23 trajectory would that cause the Quebec Utilities'
24 rates to rise?

25 R. I'm sorry. I'm really not familiar with the detail

1 of the bi-energy proposal. So I won't, if it's more
2 than a proposal, I really don't know the details of
3 what it involves or how many customers it covers.
4 So...

5 Q. **[45]** My question was not related to bi-energy. It
6 was a general question. I'm generally asking if a
7 utility was to sell fewer "terms" of gas on a
8 steadily declining trajectory in the jurisdiction
9 would that cause the utilities' rates to rise?

10 R. Oh! I would expect so. Yes.

11 Q. **[46]** And if that utility were receiving payment
12 from the electricity distributor to compensate it
13 for continuing to serve load during winter peaks
14 what would be the impact? Would that change your
15 answer?

16 R. Well again I'm not quite sure. I think it would
17 depend on what exactly the arrangement was.

18 Q. **[47]** So it would depend on the amount of
19 compensation? Okay. How many customers or sales in
20 your view, do you know, would Énergir or Gazifère
21 have to lose before its rates would rise enough to
22 materially change the competitive position of gas
23 in relationship to electricity?

24 R. I don't know.

25 Q. **[48]** You don't have any sort of number in mind.

1 Neither customers nor sales?

2 R. None.

3 Q. **[49]** Did Aviseo calculate this?

4 R. Not to my knowledge.

5 Q. **[50]** Are you aware... Okay. So neither you nor
6 Aviseo did any quantitative analysis of the impact
7 of bi-energy?

8 R. I did not. I don't want to speak for Aviseo but
9 I'm... Aviseo...

10 Q. **[51]** Well in your report... Your report is based on
11 th Aviseo report. So I'm presuming you studied it
12 at length?

13 R. Oh I'm having to say that their report does not
14 contain any such analysis.

15 Q. **[52]** And do you think the Régie should know the
16 answer to this question in order to properly assess
17 the capital recovery risk of the Quebec Utilities
18 which you say is a central element?

19 R. I think the Régie needs to undertake an assessment
20 of business risk in this proceeding. Absolutely.
21 And this... That assessment requires judgments
22 because there's a lot of uncertainty.

23 Q. **[53]** And that assessment would include an
24 assessment of capital recovery risk of the Quebec
25 Utilities?

1 R. Yes.

2 Q. **[54]** Do you agree as a whole that the bi-energy
3 program today, you know to the limits of your
4 knowledge of that program, I think we touched on
5 yesterday, reduces the risk related to the energy
6 transition for the Quebec Utilities?

7 R. Well, "reduce" is a relative term, "reduce"
8 relative to what?

9 Q. **[55]** Well, to what exist before the bi-energy
10 program.

11 R. I would say yes.

12 Q. **[56]** Thank you.

13 Me ÉRIC McDEVITT DAVID :

14 Monsieur le président, il me reste un seul sujet,
15 j'aurai fini dans cinq, dix minutes.

16 LE PRÉSIDENT :

17 Parfait, allez-y.

18 Me ÉRIC McDEVITT DAVID :

19 D'accord.

20 Q. **[57]** So, there's a last topic I want to look at
21 with you, Mister... Dr. Brown, the issue of
22 renewable natural gas and hydrogen. You state that
23 the policies in Quebec regarding renewable natural
24 gas and hydrogen are likely to make gas more
25 expansive. It's on page 18 of your report. Is it

1 possible for a gas utility to reach net zero
2 emissions without selling non-fossil... non-fossil
3 gas?

4 R. I would think that would be very difficult.

5 Q. **[58]** As you know, Quebec has set a goal of net zero
6 emissions by twenty fifty (2050), are you aware of
7 that?

8 R. Not specifically, but I'm... it sounds entirely
9 possible.

10 Q. **[59]** Would you agree with me that developing
11 renewable natural gas and hydrogen is essential to
12 the survival of the gas utilities beyond twenty
13 fifty (2050)?

14 R. That seems reasonable to say that, yes.

15 Q. **[60]** So then, how would you see the policies
16 regarding renewable natural gas and hydrogen as a
17 source of risk? Isn't it rather a source of company
18 survival?

19 R. Well, those two things may go together. It may be
20 that the future of the Quebec Utilities is riskier
21 than the past.

22 Q. **[61]** But you'll agree with me that the development
23 of renewable natural gas and hydrogen goes to the
24 very survival of these companies, would you not?

25 R. Yes.

1 Q. **[62]** Okay. I have no further questions.

2 Me ÉRIC McDEVITT DAVID :

3 Merci, Monsieur le Président, j'ai terminé. Donc,
4 ça a été beaucoup plus rapide que je croyais.

5 LE PRÉSIDENT :

6 Merci, Maître David. Est-ce qu'il y a des questions
7 de la part d'un ou l'autre des intervenants?

8 Me STEVE CADRIN :

9 Steve Cadrin pour AHQ-ARQ. Simplement pour vous
10 mentionner, Monsieur le Président, que nous
11 n'aurons pas de questions. Je vois que ma consœur
12 s'est connectée en même temps que moi, je ne
13 voulais pas vous laisser dans le silence si
14 longtemps.

15 LE PRÉSIDENT :

16 Très bien, merci.

17 Me PAULE HAMELIN :

18 J'aurai quelques questions.

19 LE PRÉSIDENT :

20 Alors, vous pouvez y aller.

21 CROSS-EXAMINED BY Me PAULE HAMELIN :

22 Q. **[63]** So, hello Mr Brown. My name is Paule Hamelin
23 and I represent IGUA in this case.

24 R. Good morning.

25 Q. **[64]** Good morning. Yesterday, at the start of your

1 presentation, you explained your interpretation of
2 what is business risk. In my notes, if I'm correct,
3 you indicated that the business risk is the risk of
4 investing in that utility, you referred to investor
5 risks. Correct?

6 R. M'hm, yes.

7 Q. **[65]** Would you agree with me that business risk
8 also relates to operations and business environment
9 of a company?

10 R. Yes.

11 Q. **[66]** In fact, it is what you are indicating in your
12 report, exactly those words :

13 Business risk relates to the
14 operations and business environment of
15 a company.

16 That was touched upon by my confrère, maître David.
17 In your report, you consider the competition of gas
18 towards electricity and you'd just indicated that
19 there were no further evidence that you have
20 provided except what we have seen in the report.
21 And based on your answer, I just want to confirm
22 that you have not done a specific analysis to
23 determine over time, let's say from twenty twenty
24 (2020) to twenty fifty (2050), for all types of
25 customers of the utilities, either residential,

1 commercial, institutional, industrial, what is
2 Énergir's competitiveness over electricity? Your
3 analysis was essentially electricity is cheaper in
4 Quebec, right?

5 R. That is why it seems to me that the situation of
6 the Quebec Utilities is different than the
7 situation of the US utilities in Dr. Villadsen's
8 sample.

9 Q. **[67]** But you have not conducted a specific
10 analysis to determine over time the Énergir's
11 competitiveness over electricity, correct?

12 R. Well, the relevant question is the position of the
13 Quebec Utilities relative to the position of the US
14 utilities, and for the reasons I've given, the
15 Quebec Utilities are not in the same position as
16 the US utilities.

17 Q. **[68]** I understand what you're... you have done and
18 what you consider to be relevant. My question is
19 quite simple, I'm not asking what you indicate in
20 your report, I'm asking if you have done an
21 independent analysis of Énergir's competitiveness
22 over electricity for all the types of customers
23 from twenty twenty (2020) to twenty fifty (2050)?

24 R. The analysis I've done is described in my report,
25 if I can put it that way.

1 Q. **[69]** Are you aware that Énergir has done this type
2 of analysis recently as part of its -- and I'll
3 refer to it in French. Deuxième rapport... the
4 second report on résilience. Is it... I don't know
5 how to... maybe... I don't have the WebSwitcher and
6 or if the utility can help us if there is a name
7 for this report in English? Or perhaps, we can at
8 least...

9 R. It's the same, but I'm not familiar with that
10 report.

11 Q. **[70]** Okay.

12 Me PATRICK OUELLET :

13 If you want... if you want the English term, we can
14 put it to you if you give me one second?

15 R. Okay.

16 Me PATRICK OUELLET :

17 We were told that Dr. Hopkins says put the English
18 version of the Climate Resilience.

19 Me PAULE HAMELIN :

20 Ah, yes, that's true, I forgot about that. Yes.

21 Me PATRICK OUELLET :

22 Okay.

23 Me PAULE HAMELIN :

24 Maybe we can probably show, and I don't have the
25 Exhibit of Dr. Hopkins, because I have the

1 reference for the report in French. Can you give me
2 just a few minutes so we can find it?

3 Me PATRICK OUELLET :

4 We'll do the same and help you find it at the same
5 time.

6 Me PAULE HAMELIN :

7 Okay. Sorry, I just realized that he has filed the
8 first report and not the second report. So, I would
9 suggest then to...

10 Madame la greffière, can you please put on
11 the screen, it's Exhibit C-ACIG-0072, at page 33.

12 Q. [71] So, Mr Brown, is it something that you have
13 considered for either your report or your
14 preparation to testify today?

15 R. I don't believe I've seen this report before
16 yesterday. I think I saw it on the screen briefly
17 yesterday.

18 Q. [72] Okay. And did you have the time to analyse it
19 or review it?

20 R. Oh, no, I only saw it when it was... I think
21 somebody was asking a different witness questions
22 about it.

23 Q. [73] Okay. Would you agree with me that this
24 comparison twenty twenty (2020), twenty fifty
25 (2050) for all Énergir's customers is a relevant

1 and useful information to assess demand or
2 competition risk?

3 R. Well, I'm sorry, I really can't tell anything, the
4 writing on the screen is too small for me to read.

5 Q. [74] Okay. We can probably enlarge.

6 Me PATRICK OUELLET :

7 Maybe if we can take just a few minutes to let Dr.
8 Brown read this page of the report? I believe he
9 can read French, so...

10 Me PAULE HAMELIN :

11 Okay. Perfect.

12 Me PATRICK OUELLET :

13 We're going to give him a little bit more time
14 because it's in French, but I think that would be
15 the appropriate thing to do at this point.

16 Me PAULE HAMELIN :

17 Perfect.

18 R. Also, I'm going to turn my camera off because I
19 need to get very close to the screen.

20 Me PATRICK OUELLET :

21 I believe we found the English version, so I will
22 try to give that English version to the witness as
23 well, so that he can read appropriately.

24 Me PAULE HAMELIN :

25 Can I suggest that the English version further to

1 Dr. Brown's testimony could be filed? If you prefer
2 that I file it as a C-ACIG exhibit I will do so,
3 but I would appreciate receiving a copy. I don't
4 know if we have to take a formal undertaking?

5 Me PATRICK OUELLET :

6 Okay. I'll just... I'll just discuss with my
7 client, so give me a few seconds.

8 Donc, Maître Hamelin, maître Cloutier va
9 vous envoyer immédiatement la version anglaise du
10 rapport par courriel, et comme ça vous pourrez le
11 produire, là, dans vos pièces si vous le désirez.

12 Me PAULE HAMELIN :

13 Parfait. Je vous remercie beaucoup.

14 Me PATRICK OUELLET :

15 En même temps, on va l'envoyer au Dr Brown.

16 Maître Hamelin, est-ce que vous avez bien reçu le
17 courriel de maître Cloutier?

18 Me PAULE HAMELIN :

19 Oui, merci.

20 Me PATRICK OUELLET :

21 Parfait. Donc, le témoin prend connaissance de la
22 version anglaise, on va vous faire signe quand ce
23 sera... quand il sera prêt.

24 Me PAULE HAMELIN :

25 Parfait. Je m'excuse auprès de la formation pour...

1 pour le délai.

2 LE PRÉSIDENT :

3 On pourrait peut-être prendre la pause tout de
4 suite, ça laissera le temps au témoin de prendre
5 connaissance du document, puis...

6 Me PATRICK OUELLET :

7 Parfait.

8 LE PRÉSIDENT :

9 O.K. Alors, on se revoit à dix heures quinze
10 (10 h 15).

11 SUSPENSION DE L'AUDIENCE

12

13 REPRISE DE L'AUDIENCE

14 LE PRÉSIDENT :

15 Rebonjour, alors nous sommes prêt à poursuivre.

16 Maître Hamelin on vous a vue pendant une seconde et
17 vous êtes disparue.

18 Me PAULE HAMELIN :

19 Me voici. Mais je ne vois pas, peut-être parce que
20 c'est... ah O.K.

21 Me PATRICK OUELLET :

22 En fait c'est moi... moi je ne vous vois pas Maître
23 Hamelin. Je vous vois comme en pastille.

24 Me PAULE HAMELIN :

25 Pourtant ma caméra est ouverte. Est-ce que vous me

1 voyez?

2 Me PATRICK OUELLET :

3 Non. Mais peut-être. Normalement nous, moi ce que
4 je fais c'est que je déconnecte et je reconnecte et
5 ça règle normalement le problème.

6 Me PAULE HAMELIN :

7 Bon, alors. Je vous reviens. Est-ce qu'on me voit
8 maintenant?

9 LE PRÉSIDENT :

10 Très bien.

11 Me PAULE HAMELIN :

12 Q. [75] So, Mister Brown, during the pause I
13 understand that you had the opportunity of looking
14 at the, the information that we provided to you
15 with respect to the Plan de résilience or
16 Resilience Report which is essentially a chart
17 pertaining to the competitive position for the
18 period twenty twenty to twenty fifty (2020 to 2050)
19 that was prepared by Énergir. My understanding is
20 that prior to the recess you didn't have the chance
21 to look at this document. Now that you have had the
22 opportunity of looking at it, would you agree with
23 me that this is useful and relevant information to
24 assess demand or competition risk for Énergir?

25 R. Hum. Well, not really. Because it, this is a

1 relative assessment that we are undertaking. And so
2 we need to understand risk of Énergir relative to
3 something else, a benchmark. And this report is
4 just about Énergir.

5 Q. [76] O.K. but. Am I correct... because we can go
6 back to the description of your mandate, but I
7 think that, based on... and we can go back to your
8 report, but my understanding is that your mandate
9 is assessing business risk and in particular
10 compare it to other comparable utilities. Is that
11 correct?

12 R. Yes.

13 Q. [77] So, to compare, you have to priorly assess the
14 business risk of the various utilities. Correct?

15 R. Yes.

16 Q. [78] So I then, restate my question. Would you
17 believe, to determine business risk for Énergir,
18 that this information on competitive position
19 between electricity and natural gas is a relevant
20 information to assess business risk of Énergir?

21 R. It's, it's relevant, but it doesn't tell us
22 anything about the position of Énergir relative to
23 the sample. And...

24 Q. [79] And that would be the second step of your
25 analysis, correct?

1 R. Yes. And that's why I looked at the, the cost and
2 emissions associated with electricity in other
3 jurisdictions, in other parts North America. And if
4 one were to prepare a chart like this for gas
5 utilities anywhere else in North America, it would
6 like very different. The... the dotted line would
7 be between a halfway down hence much further down
8 the columns. And so, this chart shows, in my
9 understanding that, for Énergir's customers, in
10 terms of the fuel bill, gas is somewhat cheaper or
11 about the same as electricity. If you were to do
12 the same analysis for other utilities, you would
13 see that gas is far cheaper than electricity
14 because electricity is much much more expensive.

15 Q. [80] But, just at the basis, because if we go back
16 to your analogy with cards, you indicated yesterday
17 that it's like having a set of, of cards. You need
18 to look what is in your hand, and then compare it.
19 But at the beginning, you need to know what's in
20 your hand. Right? So my... the comment I'm making
21 is that this is a relevant information to assess
22 Énergir's only business risk. Correct?

23 R. Yes. The position of gas relative to electricity in
24 the competition between the two, yes, absolutely,
25 that's relevant.

1 Q. **[81]** I would like now to turn to your report, page
2 22. And it's on the same topic and it's to follow
3 some of the questions of maître David. Question 34
4 we see, at the question:

5 Does the natural gas distributed by
6 Énergir compete with electricity?

7 The answer given... sorry. Sorry, 22 of the
8 document, but I was referring to the question 34 so
9 that... to be clear. Sorry.

10 R. Yes, that's fine.

11 Q. **[82]** O.K. Perfect. So the answer was:

12 Yes. Particularly in households,
13 electricity is a viable alternative to
14 natural gas for customers in Énergir's
15 service territory.

16 And then, you continue with table 4 which is at
17 page 23, relating to Residential Customers Annual
18 Growth Rate. My question to you is... Am I to
19 understand that this comparison with growth rate
20 has been done with respect to residential customers
21 only?

22 R. That's correct.

23 Q. **[83]** And you had not done any analysis with respect
24 to the same, the same type of analysis with respect
25 to the other segments of Énergir's clients, for

1 instance institutional, commercial, industrial,
2 correct?

3 R. That's correct.

4 Q. **[84]** I would like now to turn to the question of
5 the other sample. And I want to also make a follow-
6 up, some follow-up questions on the, on this
7 aspect. And let's start with your footnote in your
8 report, footnote 3 of your report, at page 2. So
9 you indicate that:

10 I have not compared the Utilities to
11 the other samples described by Dr.
12 Villadsen because the gas LDC sample
13 is the closest in terms of business
14 operations.

15 I insist on business operations for the purpose of
16 my questions.

17 While the Canadian sample contains
18 some gas distribution utilities, it is
19 also rather heterogeneous (See the
20 work papers to BV-6).

21 If we look at the US sample, is it fair to say that
22 some of the utilities are not pure play
23 Distribution companies as well?

24 R. I'm not sure about that. I think they are... the
25 sample as a whole list is pretty clean. It's my

1 understanding.

2 Q. **[85]** O.K. Let's take the list of the utilities
3 found in doctor Villadsen's report. This one it's
4 at page 59 of her report. So I'll let you the
5 opportunity of reviewing them and then, again, my
6 first question is: Can you identify or, is it
7 possible that some of those companies would not be
8 one hundred percent (100 %) pure play distribution?

9 R. Sorry, I'm just finding the right page.

10 Q. **[86]** Fifty-nine (59) of doctor Villadsen's report.

11 LE STÉNOGRAPHE :

12 Est-ce que vous avez la cote Régie, s'il vous
13 plaît?

14 Me PAULE HAMELIN :

15 La cote Régie, c'est... alors j'ai juste la cote
16 Énergir : EGI-1.

17 LE STÉNOGRAPHE :

18 O.K.

19 Me PAULE HAMELIN :

20 Est-ce que quelqu'un peut me donner la cote?

21 LE PRÉSIDENT :

22 B-0015.

23 Me PAULE HAMELIN :

24 Merci. Oui. J'aurais dû m'en souvenir.

25

1 LE STÉNOGRAPHE :

2 Merci.

3 Me PAULE HAMELIN :

4 Merci.

5 Q. **[87]** So Dr. Brown have you... Are you one hundred
6 percent (100%) sure that all of those companies are
7 all pure play distribution companies?

8 R. If the question is: do any of the sample companies
9 have some operations that are not natural gas
10 distribution then I'm sure that some of them do.

11 However the large majority of the
12 activities of the natural gas distribution sample
13 is natural gas distribution and I think doctor
14 Villadsen's has explained that in her report.

15 Q. **[88]** Let me suggest, and maybe you can take an
16 undertaking, but I'll give you some information and
17 you'll tell me if it's to your knowledge and if not
18 then you can probably verify.

19 If we take for instance just Chesapeake
20 Utilities would you agree with me that only thirty
21 percent (30%) of the assets... Sorry. Just a
22 second. I think it's fifty-one percent (51%).

23 Well do you... Was your... Is it to your
24 knowledge that Chesapeake Utilities have a
25 percentage of its assets that is not regulated

1 distribution business?

2 R. Well we look at the table on the page you pointed
3 me to. So this is page... Well it's figure 20 of
4 Dr. Villadsen's testimony. Chesapeake Utilities is
5 listed as... There's a... The code in column 2 is
6 "R" and that means I think it's eighty percent
7 (80%). More... Eighty percent (80%) or more of the
8 assets are regulated.

9 Q. **[89]** But do you know the percentage with respect to
10 distribution?

11 R. In my understanding Chesapeake Utilities has both a
12 natural gas distribution utility, or possibly more
13 than one, and electricity distribution.

14 In my experience the business risk of
15 electricity distribution and natural gas
16 distribution is very similar. And more precisely
17 the business risk of electricity and natural gas
18 distribution is much more similar than would be the
19 case between for example natural gas distribution
20 and natural gas pipelines or even more so oil
21 pipelines.

22 Q. **[90]** Just to go back to the beginning of your
23 answer when you say that when you're looking at
24 Chesapeake Utilities you see "R" and "Regulated" am
25 I to understand that you took the information from

1 Dr. Villadsen and well, have you done your own
2 independent analysis with respect to each of these
3 utilities or you take them as granted or without
4 doing additional verification on each of them?

5 R. This is Dr. Villadsen's sample. Dr. Villadsen
6 selected the sample. As part of my work I reviewed
7 the business risks of the utilities in the sample.
8 And one of the sources of information on which I
9 relied is the annual reports filed by each of the
10 nine sample companies.

11 I reviewed those reports, because those
12 reports contain an identification of significant
13 business risks as identified by the management of
14 those companies and so I have reviewed those
15 reports and therefore I am at least somewhat
16 familiar with the operations of those companies as
17 described in their annual reports.

18 Q. **[91]** Okay. So with respect to Chesapeake Utilities
19 you indicated that they may have natural gas and
20 electricity, but my question would you know the
21 correct percentage of the distribution portion of
22 the company?

23 R. If your question is natural gas distribution vs.
24 electricity distribution off the top of my head I
25 certainly don't. I would expect to find that

1 information in the annual report.

2 Q. **[92]** Okay. So as an undertaking I will ask you to
3 provide the information as to the percentage of gas
4 distribution business in the... for this utility.
5 Is it clear my... Dr. Brown my question? My
6 undertaking for you?

7

8 E-3 EGI : Percentage of the gas distribution
9 business in Chesapeake Utilities
10 (Demandé par ACIG)

11

12 R. The percentage of what?

13 Q. **[93]** Of the gas distribution business in Chesapeake
14 Utilities?

15 R. I suppose that there's a number of different
16 metrics that one could use to assess the relative
17 contribution of one business to the company as a
18 whole. I'm sure I can find at least one relevant
19 metric.

20 Q. **[94]** Thank you. Monsieur le sténographe est-ce que
21 je dois répéter l'engagement ou ça vous va?

22 LE STÉNOGRAPHE :

23 Non. Ça va bien.

24 Me PAULE HAMELIN :

25 Q. **[95]** D'accord.

1 LE PRÉSIDENT :

2 Ce sera l'engagement numéro 3.

3 Me PAULE HAMELIN :

4 Q. **[96]** What about New Jersey Resources. Are they one
5 hundred percent (100%) distribution?

6 R. No... As you can see in the table this one is
7 mostly regulated which means more than fifty
8 percent (50%) but less than eighty percent (80%), I
9 think.

10 Q. **[97]** And I was going to say for me two thirds (2/3)
11 of its assets are in distribution and the reminder
12 in other activities. Would that be a fair
13 description of this utility?

14 R. That would be consistent with Figure 20 of Dr.
15 Villadsen's testimony.

16 Q. **[98]** Okay. What about Southwest Gas? Is it to your
17 knowledge that half of this utility revenues come
18 from other operations than distribution? Other
19 types of operations?

20 R. Well again looking at Figure 20 Southwest Gas is
21 listed as being more than eighty percent (80%)
22 regulated. So in my understanding Southwest Gas is
23 entirely or almost entirely a natural gas
24 distribution business.

25 Q. **[99]** Do you know if some of the utilities are also

1 pipelines transmission utilities?

2 R. Some of the utilities in the gas distribution
3 sample?

4 Q. **[100]** Yes. Would that be possible?

5 R. Not to any significant extent would be my
6 understanding.

7 Q. **[101]** But that would be possible?

8 R. They may have some assets in those activities, but
9 not to any great extent would be my understanding.

10 Q. **[102]** Okay. And just to go back to the answer that
11 you gave previously with respect to gas versus
12 electricity in terms of business risk. Am I to
13 understand that your position is that with respect
14 to business risk, in this case electricity, an
15 electricity utility, would be a comparable
16 distributor to assess business risk?

17 R. First, just to be precise, I'm talking about the
18 activity of distributing electricity relative to
19 distributing natural gas. Well, in this case, we
20 need a benchmark and... so to the extent... I
21 wouldn't start by looking at electricity
22 distribution utilities as a benchmark for natural
23 gas distribution, I would start by looking at
24 natural gas distribution.

25 But in doing that, if it happens that

1 some... a sample company has oil pipelines as well
2 as natural gas distribution, that would be
3 concerning, because oil pipelines and natural gas
4 distribution do not have the same business risk or
5 not even similar. If it happens that a natural gas
6 distribution utility is in the same corporate group
7 as an electricity distribution utility, I would be
8 much less concerned because the business risks of
9 those two activities are similar.

10 Q. **[103]** I will now turn to the Canadian sample, it's
11 at page 53 of Dr. Villadsen's testimony. I
12 understand from your testimony yesterday that you
13 indicated that TC Energy was very different because
14 it was essentially pipelines. Did I understand you
15 correctly?

16 R. Yes. I haven't study TC Energy in any great detail,
17 but I'm not aware of any natural gas distribution
18 business in that company.

19 Q. **[104]** Okay. Would you agree with me that Enbridge
20 is an oil transmission company?

21 R. Enbridge does have significant oil liquid pipelines
22 operations, that's my understanding.

23 Q. **[105]** And therefore, in terms of business risk
24 assessment, it would be very difficult to compare?

25 R. It would not be my first choice benchmark, no, if I

1 had something... something else available that was
2 a better benchmark.

3 Q. **[106]** Okay. Turning to Algonquin Power, do you
4 agree with me that it's a power generator utility,
5 occasional gas?

6 R. To be perfectly honest, I know nothing about
7 Algonquin Power, but I see its name, so I assume
8 that it has something to do with electricity
9 generation.

10 Q. **[107]** But I'm... am I correct to do, in
11 understanding that in order for you to determine
12 that the US sample should be use instead of the
13 Canadian sample of Dr. Villadsen that you should
14 have had the opportunity of reviewing each of the
15 utilities to make this decision, this judgement,
16 between the two set of samples, correct?

17 R. Yes. And I think if I go back to the footnote in my
18 testimony that you began this line of questioning
19 with. I explained that the Canadian sample is
20 rather heterogeneous and then I cited evidence of
21 which I'm relying to that statement.

22 Q. **[108]** O.K. But if I understand from your earlier
23 testimony, you have not necessarily verified
24 yourself for instance, Algonquin Power.

25 R. I'm sorry if I spoke too quickly. I don't remember

1 what the business activities of Algonquin Power
2 are. But I looked at them for the purposes of
3 making the statement in footnote 3. So if you take
4 me to the source material cited in footnote 3, I
5 would expect to find the business activities of the
6 Canadian sample layed out.

7 Q. **[109]** But did you, have you done an independent
8 analysis of the business risk other than doctor
9 Villadsen's report? Well not, sorry. An independent
10 analysis of the correct samples to be, that would
11 be relevant to make a business risk assessment or
12 you simply used doctor Villadsen's report?

13 R. I did not independently calculates the... or
14 research which, which sectors the companies in
15 doctor Villadsen's Canadian sample are active in. I
16 looked at the information about that contained in
17 the work papers to doctor Villadsen's testimony.
18 And relying on that information, I made the
19 statement in footnote 3.

20 Q. **[110]** O.K. So, my understanding is that you took,
21 you looked and read what doctor Villadsen has
22 written, and you have decided to rely on that to
23 determine that the US sample was more appropriate.
24 Would that be a good summary of the methodology?

25 R. Doctor Villadsen's testimony contains facts about

1 which sectors each of the samples is active in and
2 in what proportion. Based on those facts, I state
3 that the natural gas distribution sample is a
4 better benchmark than the Canadian utility sample,
5 the present purposes.

6 Q. **[111]** So I understand from that, that you have not
7 conducted an independent analysis to determine
8 samples. You relied on doctor Villadsen's factual
9 information in her report, correct?

10 R. Yes.

11 Q. **[112]** Would you agree with me that there was
12 nothing preventing you to determine your own
13 sample?

14 R. Well. We have, we had a division of responsibility.
15 Doctor Villadsen, as I'm sure she will explain, is
16 responsible for estimating the cost of capital
17 using a number of different samples. Most of the,
18 most of the utilities... if it was simply a matter
19 of selecting a utility that's a reasonable
20 benchmark in terms of business risk for the Quebec
21 Utilities, there are very many utilities one might
22 chose from. However, almost all of those utilities
23 would not be suitable for estimating the cost of
24 capital. For reason that I'm sure doctor Villadsen
25 can explain.

1 Q. **[113]** Let's stick for now to your mandate and your
2 role, which is assessing business risk. So my
3 question to you: In assessing business risk, and in
4 order to then compare it to a comparable
5 distributor there was nothing preventing you to
6 determine your own sample. Correct?

7 R. Dr. Villadsen estimated the cost of capital for a
8 number of different samples, I was in a position
9 therefore to choose amongst the samples for which
10 she has cost of capital estimates.

11 Q. **[114]** I'm not sure I understand your answer. Let me
12 rephrase it. You could have decided to retain other
13 Canadian gas distribution companies as comparables?
14 Correct? Other than what Dr. Villadsen has put in
15 her report?

16 R. I don't think so. I don't believe that there are
17 any other Canadian distribution utilities for which
18 cost of capital estimate can be made.

19 Q. **[115]** I'm not talking about capital market for now,
20 I'm talking about comparable distributors to assess
21 business risk. So have you done this independent
22 analysis?

23 R. I don't want to be at cross purposes here. The
24 present exercise is to determine the authorized
25 rate of return for the Québec Utilities using as a

1 benchmark the estimated cost of capital for some
2 other utilities for which an estimate can be made
3 and relating the one to the others is the business
4 risk analysis that I have done. There would be no
5 point in analyzing the business risk of a
6 comparison utility for which the cost of capital
7 cannot be estimated. Because then, where does that
8 analysis go? It's nowhere to go.

9 Q. **[116]** So in your view there is no point in trying
10 to determine the business risk for utilities such
11 as Enbridge Gas, Fortis BC, ATCO Gas, is that what
12 I'm hearing?

13 R. Well, those utilities I believe are in Dr.
14 Villadsen Canadian sample, aren't they?

15 Q. **[117]** No, they aren't.

16 Me PATRICK OUELLET :

17 May I...

18 Me PAULE HAMELIN :

19 Q. **[118]** Dr. Villadsen have Fortis inc., have Enbridge
20 inc., does not have Enbridge Gas, Fortis BC nor
21 ATCO Gas. So what I'm asking you is for those...
22 First of all do you know those gas companies?

23 R. Some better than others, but I know what they are,
24 yes.

25 Q. **[119]** My understanding is that you haven't verified

1 if, for instance, those utilities would be, could
2 be consider as a comparable distributor in
3 determining business risk, because again business
4 risk as determine in your report at the beginning
5 related to operations and business environment of a
6 company.

7 R. Well, actually I did consider those utilities
8 because they are in Dr. Villadsen Canadian sample
9 and I have said that that sample is not a useful
10 benchmark because it is too heterogeneous.

11 Q. **[120]** Okay. Can you show me where Enbridge Gas is
12 in Dr. Villadsen sample?

13 R. Is not Enbridge Gas a subsidiary of Enbridge?

14 Q. **[121]** Yes, but now you are considering, is it a
15 fair assessment than Enbridge inc is the holding
16 company and now we are comparing the holding
17 company with Énergir s.e.c. is that what you're
18 suggesting?

19 R. Perhaps, if I may, let me set back and describe my
20 understanding of how the business risk and the cost
21 of capital analysis relate to one another. The cost
22 of capital analysis is... takes his inputs,
23 financial information, about publically traded
24 companies, that is to say holding companies. Those
25 holding companies own a number, one or more,

1 operating subsidiaries. In the case of the natural
2 gas distribution sample, there are nine holding
3 companies which I think between them own
4 twenty-four (24) or more natural gas utilities,
5 which I have analyzed in my report.

6 The Canadian sample, I forget how many
7 holding companies it has in it, but each of those
8 holding companies owns one or more operating
9 companies, some of them are natural gas
10 distribution utilities, others are oil pipelines or
11 power generators or other things.

12 So, when the cost of capital... cost of
13 capital estimates... estimates relating to the
14 sample, the sample of holding companies, the
15 business risk analysis therefore has to compare the
16 business risk of the Quebec Utilities with the
17 business risk of the samples as a whole.

18 In the case of the natural gas sample, the
19 natural gas distribution sample, that's a
20 reasonable thing to do because the natural gas
21 distribution sample is... is reasonably pure play
22 for almost all of its assets are regulated
23 utilities and the large majority are natural gas
24 distribution, and they aren't entirely oil
25 pipelines or other things in there.

1 The Canadian utilities, the Canadian
2 holding companies, are less useful as a benchmark
3 because although they contain natural gas
4 distribution utilities, they also contain many
5 other things which are not good benchmarks for the
6 Quebec Utilities. And therefore, I determined that
7 it is better to use the natural gas distribution
8 sample as a benchmark and I did not undertake any
9 further analysis of the Canadian sample.

10 Q. **[122]** Give me just a second. Thank you, Mr. Brown,
11 I have no further questions.

12 R. Thank you.

13 LE PRÉSIDENT :

14 Merci, Maître Hamelin. Est-ce qu'il y aurait une
15 question de la part de maître Cadrin de la AHQ-ARQ?
16 Ah, excusez, non, il reste... c'est plutôt maître
17 Turmel de la FCEI.

18 CROSS-EXAMINED BY Me ANDRÉ TURMEL:

19 Oui. Bonjour, Monsieur le président. André Turmel
20 pour la FCEI. Oui, nous avons quelques questions.
21 Alors, je demanderais à madame la greffière de
22 mettre à l'écran la pièce B-0204.

23 Q. **[123]** We will work, Dr. Brown, with evidence
24 B-0204. It is answer to the Canadian Federation of
25 Independent Businesses, à la question-réponse 2.9.

1 Si on veut le mettre à l'écran. 2.9. O.K. Nous y
2 sommes.

3 So, good morning Dr. Brown. Do you see the
4 question-answer on the... on the...

5 R. I have it, yes.

6 Q. **[124]** Okay. Perfect. So, on question 2.9, the
7 question is in French, I'm just going to restate it
8 in English, so you were ask : can you confirm that
9 if a potential client finally choose not to connect
10 itself to natural gas, he does not add any risk
11 with respect to capital recovery. And, so you
12 answer the following, you said:

13 Not confirm. Doctor Brown consider
14 that if one of utilities were to stop
15 growing entirely, that this could be a
16 signal for an increase business risk.
17 Particularly if, at the same time,
18 some existing customers are leaving
19 the system. Doctor Brown understands
20 that it is not the case for the
21 utilities currently.

22 So, my first couple of questions on that, Sir, is,
23 am I right to say that you answer take as an
24 assumption that the stop of growth is the result of
25 market strength? As a general comment.

1 R. I don't think, I don't think it matters why a
2 utility stop growing. If it stops growing, I would
3 think that could be concerning for the utility and
4 its investors.

5 Q. **[125]** In fact, that if growth stops and that client
6 would leave this would signal a decrease in the
7 interest for natural gas? Can we say that?

8 R. Yes. That would be consistent.

9 Q. **[126]** Okay. But, I think, if... maybe, maybe the
10 question, the way it was asked, I think, what we
11 want to... or should have read otherwise so... the
12 question is: if the slowdown of growth is the
13 result of choice made by, let say, the utility or
14 the regulator itself, does that impact the risk of
15 capital recovery, in itself?

16 R. Well. A utility, a utility assets, as we talked
17 about are long-lived. And so, the investments that
18 are being made now in the utility system are going
19 to be recovered from existing customers and from,
20 each of the customers. The more new additional
21 customers there are in the future then, the more
22 positive environment and the easier it will be to
23 recover the cost of those assets which are shared,
24 I mean the use of the assets is shared with all the
25 customers, that would be easier in the future than

1 if the number of customers is going down.

2 Q. **[127]** Okay. And all the risk of capital recovery in
3 itself, am I right to say that this risk is
4 directly linked to the fact that there is a, there
5 is capital to recover?

6 R. Yes. If there was no capital to recover then, yes,
7 then that would be no risk.

8 Q. **[128]** Yes. That was my following question, and you
9 exactly fit in. Thank you very much. And as a
10 consequence, all things being equal, how less
11 capital invested to connect clients could add more
12 risk?

13 R. I'm sorry. Could you repeat that question, please.

14 Q. **[129]** Yes. Yes. So, as a consequence of this, the
15 discussion we are having, all things being equal,
16 this is the usual sentence that has to said, how
17 less capital invested or investment to connect
18 clients could add more risk?

19 R. Well. Because, because the total capital invested
20 in the utility consists of a, you know, it's a
21 portfolio or... the utility has many assets, some
22 that were recently constructed and some that were
23 constructed longer ago. But the, the recovery of
24 the rate base as a whole, that has to come from, as
25 I said, existing customers and new customers in the

1 future over time so, if, if a utility stops
2 growing, yes that means no more connection assets
3 are being added to the rate base so therefore no
4 more connection assets need to be recovered in
5 future.

6 But the existing rate base is what
7 investors are worrying about, but if there's no
8 investment there's no additional investors but the
9 existing rate base still needs to be recovered and
10 that existing rate base, as I said, has to be
11 recovered from current and future customers and
12 that's more difficult if there are fewer customers.

13 Q. [130] Thank you. Madame la Greffière, si on veut
14 aller à la question-réponse 1.5. We will go to the
15 question-answer 1.5 of the same document.

16 So on question and answer 1.5 we see a
17 question in French. I'm just gonna restate it in
18 English.

19 So all the profitability criteria you were
20 asked if a more demanding profitability criteria,
21 meaning requesting more profitability to get
22 another rise investment can reduce the risk of
23 capital recovery and then you offer the following
24 answer mentioning that you were not aware of any
25 circumstances in which profitability criteria would

1 be relevant for capital recovery risk.

2 Dr. Brown understanding is that
3 standard for whether investment in
4 assets used to provide utility service
5 can be recovered in rates is prudence
6 which has nothing to do with
7 profitability criteria.

8 So end of answer.

9 So let's use an example maybe to help us to
10 understand. For instance if the Régie de l'énergie,
11 the Regulator you're facing today, would decide to
12 add a more let's say restrictive policy on new
13 clients.

14 Let's say that they would ask that all new
15 clients would have to pay for the totality of
16 connecting costs. Would that reduce the risk of
17 capital recovery?

18 R. Just to make sure I'm understanding the question.
19 When a customer connects to the system they...
20 After connecting they will pay rates the same as
21 any other customer, I suppose. So your question is
22 when they connect if instead of the connection
23 assets being added to rate base the connection
24 assets are completely paid for by the customer. Is
25 that your question?

1 Q. **[131]** Well no. I think... I'm gonna restate my
2 question maybe to be sure we are on the same page.
3 So let's say that it's an example, I just want to
4 understand. If the Regulator, this Regulator would
5 decide to add... decide and add a new, a more
6 restrictive policy than today for new clients.
7 Let's say that they would decide to say all new
8 clients would have to pay for the totality of
9 connecting costs. So we're looking forward. Would
10 that reduce the risk of capital recovery in that
11 action?

12 R. Well I'm a bit worried that I had the same
13 hypothetical in mind as perhaps you do. So let's
14 say the status quo is the custom's connect, the
15 connection assets go into rate base and the
16 customers pay rates the same. The new customers pay
17 rates the same as the old customers, That's the
18 status quo and then the hypothetical is that the
19 new customers in addition to paying rates also pay
20 for their connection assets so that no connection
21 assets go into rate base then there is less capital
22 to be recovered in the future I suppose and in that
23 sense...

24 Q. **[132]** Less risk.

25 R. There is less risk, I suppose. Okay.

- 1 Q. **[133]** And that fits with my last question on that.
2 So I don't know if you were there yesterday. One of
3 Énergir's testimony yesterday was given by
4 Mr. Tremblay and he was following on Mr.... on
5 Énergir's CEO, Mr. Lachance on Monday, when they
6 testified, but it was more detailed yesterday, that
7 Énergir was thinking about, for some clients, to
8 reduce from forty (40) years to twenty (20) years
9 the duration of profitability analysis meaning the
10 period over which the profitability is assessed.
11 Have you heard about that or... It was said
12 yesterday.
- 13 R. Not before yesterday and I will confess that I
14 could not follow that discussion, I'm sorry to say
15 that. This topic of profitability index is not
16 something I'm familiar with and I don't really
17 understand what that calculation is, how it's done
18 or what it's for, I'm afraid.
- 19 Q. **[134]** No offense, but it was said nevertheless in
20 the testimony yesterday. So, my question that
21 refers to that, that's a fact that we learned
22 yesterday that could be file at the Board later on
23 this year or next year, we'll see, it's not clear
24 yet. But do you agree that if we ask to a client to
25 be more profitable on a twenty (20) years period

1 rather than forty (40) years, that the utility will
2 connect less clients and there will be less
3 investment?

4 R. Well, again, I am worried that I don't understand
5 and therefore what I think this means is not what
6 it actually means, so let me state what I think it
7 means. I think this means that... well, the
8 context, I think, is that when a customer asks to
9 connect that requires some investment by Énergir in
10 connection, in assets... connection assets, which
11 will go into the rate base. And there is some
12 threshold amounts on a per customer basis and if
13 it's more expensive than the threshold hold, than
14 either the customer is not allowed to connect or
15 the customer has to pay for some of the assets
16 itself upfront. So, that after that payment the net
17 amount is below the threshold. Is that... is that
18 correct?

19 Q. **[135]** I think it is correct, but some other people
20 in my team may correct me, but the fact is the,
21 let's say that, and I think from yesterday
22 testimony and maybe they'll correct that later on
23 if they want, but they could decide for, let's say,
24 the client that want to remain using natural gas,
25 fossil natural gas will connect with... the

1 profitability criteria will be, I hope I'm right
2 here, will be on a shorter period of twenty (20)
3 years, when a client that would elect or decide to
4 use natural, renewable natural gas, the asset will
5 be recover over forty (40) years, and that's a real
6 possibility, I think, that may happen. So, in that
7 example or the fact that we connect, that Énergir
8 will connect probably less clients, that means that
9 there probably will be less investment. So, we
10 think... well, I think so, I want to confirm with
11 you if my assumption is okay or not, and if you can
12 answer that's fine, if not it's okay also, but
13 I'll...

14 R. Let me answer it in a way that I think is correct.
15 So, I think this proposal means -- so, the effect
16 of this proposal is that some customers can't
17 connect unless they choose renewable natural gas,
18 and I think the effect of that is to reduce growth
19 relative to -- well, I don't even want to say that
20 actually. Now, I think I need to step... go a step
21 further back.

22 This change, it seems to me, is part of
23 Énergir's response to the environment in which it
24 is operating. There are number of challenges to do
25 with -- you can call it the energy transition -- we

1 talked about competition between electricity and
2 gas, we talked about public policy initiatives to
3 reduce emissions from the natural gas sector. It
4 seems to me, even though I don't understand really
5 exactly what this proposal is, that it is part of
6 Énergir's response to the environment in which it
7 is operating.

8 And, so, in the context of the work I have
9 done in the business risk analysis, the fact that
10 Énergir is responding in this way, is a symptom of
11 the fact that the business risk environment of
12 Énergir is not the same as the business risk
13 environment of other natural gas distribution
14 utilities.

15 Q. [136] Okay. So, so, maybe a last line of questions,
16 Madame la Greffière si vous voulez aller dans la
17 présentation de docteur Brown, we would go back now
18 using your presentation, Sir. On the page 4. Et ça
19 sera ma dernière question, Monsieur le Président,
20 ou mes dernières questions sur ce point.

21 Me LISE DUQUETTE :

22 Maître Turmel, c'est la pièce B-0027 à la page 4 du
23 PDF?

24 Me ANDRÉ TURMEL :

25 Oui. C'est ça vous avez... merci madame, Maître

1 Duquette.

2 Me LISE DUQUETTE :

3 Maître Turmel, est-ce que c'est...

4 Me ANDRÉ TURMEL :

5 Non, c'est la, c'est la présentation Powerpoint,
6 pardon. Excusez-moi.

7 Me LISE DUQUETTE :

8 Donc la pièce 0344?

9 Me ANDRÉ TURMEL :

10 Q. **[137]** It's your Powerpoint presentation from
11 yesterday.

12 R. Hum hum.

13 Q. **[138]** Will just wait for the... yes, O.K., it's
14 coming. O.K. Page 4. Last item. And that also
15 refers to one of my colleague, maître David,
16 question to you where you said, so in reference to
17 page 4 last bullet, where you said to maître David,
18 that: the perception of risk by investors was not
19 that capital will not be recovered but how it would
20 be recovered. And you also said that investors
21 would perceive less risk in utilities that do not
22 face that prospect or modification in how the
23 capital would be recovered. Is this correct that,
24 that... did we capture the... your statement right,
25 Doctor?

1 R. Yes, I think so.

2 Q. **[139]** O.K. Perfect. My sole question on that is, do
3 you have any evidence that support that? That
4 statement. I understand it's an opinion, but is
5 that... can you direct us to a, to a... some piece
6 of evidence that support that assertion? Or it's
7 only an, or it's an opinion from, from your own
8 experience? I just want to understand where it
9 comes from.

10 R. Hum. It's an opinion about how to apply the fair
11 return standard in the context of comparing one
12 utility with another. Of course, yes... also...
13 it's an opinion.

14 Q. **[140]** O.K. Thank you. Ça termine mes questions
15 Monsieur le Président. Je vous remercie.

16 EXAMINED BY THE FORMATION

17 LE PRÉSIDENT :

18 Merci. Alors questions de la Régie, pas de
19 questions de la Régie? Madame Falardeau? Maître
20 Duquette? So, I just have a few short questions to
21 Dr. Brown about his background.

22 Q. **[141]** You mentioned yesterday in your introduction
23 remarks that you presented testimonies before the
24 Alberta Utilities Commission. I see in your bio
25 that it was in twenty twenty (2020) proceeding. Was

1 it... My question is just was it a similar case as
2 we're having today to set the rate of return for
3 gas distribution?

4 R. The proceeding listed, I think the one that's
5 listed in my resume is a different proceeding which
6 was actually more of a rate case proceeding.

7 The evidence I submitted in a rate return
8 proceeding was in February of this year. So it's in
9 my resume now. But it wasn't when I filed... When
10 my resume was filed last year.

11 The proceeding from February of this year
12 is what in Alberta is called the Generic cost of
13 capital proceeding. It's a proceeding to set the
14 authorized rates return for all of the gas and
15 electricity distribution, the utilities in
16 Quebec... In I'm sorry excuse me in Alberta.

17 And on previous occasions I have worked on
18 the dockets, the Generic cost of capital docket in
19 two or three times in Alberta although in those
20 prior occasions I wasn't the... I wasn't the
21 witness.

22 Q. **[142]** Okay. In this last proceeding was it the same
23 approach that we're having today where you had to
24 work from a third party report like Aviseo or was
25 it your own presentation?

1 R. It was my own presentation although I would
2 emphasize that the proceeding in February of this
3 year was a little bit unusual and it had sort of a
4 complicated history tied up with the COVID-19
5 pandemic and so on.

6 It was really... It was something of an
7 abbreviated proceeding and I think the conclusion
8 of it was to sort of hold over the authorized
9 return from the time before as it were.

10 But in any event there was nothing
11 equivalent to the Aviseo report, although I would
12 say that I consider myself quite familiar with the
13 operations of the Alberta utilities from my work in
14 other proceedings in that jurisdiction, which is
15 not the case in Quebec.

16 Q. **[143]** Could you just repeat the last portion of
17 your answer.

18 R. I'm sorry. Yes. I would say that I'm much more
19 familiar with Alberta regulatory environment than I
20 am with Quebec because before the last time I
21 worked in... I haven't worked in Quebec for maybe
22 ten (10) years. The last ten (10) years.

23 Q. **[144]** Okay. Perfect. Thank you.

24 LE PRÉSIDENT :

25 Alors, ça conclut les questions au Dr. Brown. Thank

1 you au Dr. Brown.

2 Me PATRICK OUELLET :

3 J'ai peut-être, si vous me permettez, Monsieur le
4 Président, j'ai peut-être quelques questions de
5 réinterrogatoire, mais...

6 LE PRÉSIDENT :

7 Oui. Certainement.

8 Me PATRICK OUELLET :

9 Je vous demanderais quelques minutes, mais je
10 vais... I'm gonna say this in English. I'll ask
11 Dr. Brown to leave the room we're in because we
12 want to have a discussion and I don't want to
13 influence his answers.

14 If I have questions in redirect, so if I
15 could have a few minutes? H will leave the room
16 we'll have a discussion and we'll get back to you
17 maybe in five minutes. Ça va?

18 LE PRÉSIDENT :

19 Alors, on peut suspendre pour cinq minutes.

20 Me PATRICK OUELLET :

21 Parfait. Merci.

22 LE PRÉSIDENT :

23 Parfait. Très bien.

24 SUSPENSION DE L'AUDIENCE

25

1 REPRISE DE L'AUDIENCE

2 LE PRÉSIDENT :

3 Oui. Nous vous écoutons, Maître Ouellet.

4 Me PATRICK OUELLET :

5 Parfait. Donc, nous n'avons plus de questions pour
6 le... Nous n'avons pas de questions pour le docteur
7 Brown.

8 So we have no further questions for
9 Dr. Brown. I think maître Georgescu wanted to...
10 Maître Georgescu voulait mentionner quelque chose
11 là avant de passer au prochain témoin. Donc, je lui
12 cède la parole.

13 LE PRÉSIDENT :

14 Oui. D'accord.

15 Me ADINA GEORGESCU :

16 Thank you, doctor Brown. Bonjour, Monsieur le
17 Président; bonjour à la formation. Monsieur le
18 Président, c'était simplement pour vous aviser que
19 l'engagement qui a été pris par Aviseo lors du
20 témoignage de monsieur Lessard a été déposé sur le
21 SDÉ, la réponse à l'engagement a été déposée sur le
22 SDÉ ce matin. Donc, il est accessible si la Régie
23 souhaite la consulter. Alors, c'était tout ce que
24 j'avais à vous dire aujourd'hui.

25

1 LE PRÉSIDENT :

2 Parfait. On l'avait noté. Est-ce que l'AHQ-ARQ a
3 pris connaissance de la réponse? Et est-ce que vous
4 auriez des questions sur l'engagement qui a été
5 déposé?

6 Me STEVE CADRIN :

7 Oui. Bonjour, Monsieur le Président. Oui, nous en
8 avons pris connaissance. Et nous n'avons pas de
9 questions à poser. Ça répond à ce qu'on pensait.

10 LE PRÉSIDENT :

11 Parfait. Merci beaucoup. Puis pour l'engagement
12 numéro 2, est-ce que vous croyez être en mesure de
13 le déposer aujourd'hui?

14 Me ADINA GEORGESCU :

15 Juste un petit instant, nous allons juste
16 révérifier l'engagement numéro 2.

17 Me PATRICK OUELLET :

18 Donc, je ne sais pas si vous avez entendu malgré
19 les micros fermés, mais on nous informe que ça
20 devrait être prêt en début d'après-midi.

21 LE PRÉSIDENT :

22 Parfait. Merci beaucoup.

23 Me PATRICK OUELLET :

24 Alors, Monsieur le Président, on est à votre
25 disposition si jamais vous vouliez commencer avec

1 la docteure Villadsen avant le lunch. Nous, on peut
2 commencer le début. Il y a quelques petites
3 questions introductives. On est à votre
4 disposition. On peut arrêter maintenant aussi.
5 C'est comme vous voulez.

6 LE PRÉSIDENT :

7 On peut commencer. Allez-y!

8 Me PATRICK OUELLET :

9 Parfait.

10 Me ADINA GEORGESCU :

11 Est-ce qu'il serait possible, Monsieur le
12 Président, de libérer le docteur Brown?

13 LE PRÉSIDENT :

14 Oui, certainement.

15 Me PATRICK OUELLET :

16 Donc, on va prendre quelques petites secondes pour
17 s'organiser et puis on va commencer.

18 LE PRÉSIDENT :

19 Oui. Veuillez nous indiquer aussi pour l'engagement
20 numéro 3 quand vous prévoyez y répondre.

21 Me PATRICK OUELLET :

22 Je vais consulter docteur Brown.

23 LE PRÉSIDENT :

24 Très bien. Merci.

25

1 Me PATRICK OUELLET :

2 Donc, demain matin, il devrait être... on devrait
3 avoir la réponse.

4 LE PRÉSIDENT :

5 C'est bien noté. Merci.

6 Me PATRICK OUELLET :

7 Est-ce que tout le monde a la présentation de la
8 docteure Villadsen qui a été déposée sur le
9 système? Je crois que c'est EGI-28 si je ne
10 m'abuse.

11 LE PRÉSIDENT :

12 La cote de la Régie est B-0350.

13 Me PATRICK OUELLET :

14 Très bien. Exactement. Good morning, Doctor
15 Villadsen. We're going to put on the screen the
16 PowerPoint presentation that you prepared. So I
17 think you're familiar with... it's going to be
18 shown on the screen, so do you adopte this as being
19 part of your evidence?

20 LE STÉNOGRAPHE :

21 Il faudrait assermenter le témoin.

22 Me PATRICK OUELLET :

23 Vous avez raison, je m'excuse, je suis un petit peu
24 trop pressé. So you'll be sworn in before I'm
25 asking my questions obviously.

1 PREUVE DES DEMANDERESSES - Panel 5 - Détermination
2 du taux de rendement et structures de capital
3 présumée des demanderesses

4

5 IN THE YEAR TWO THOUSAND TWENTY TWO, on this
6 fifteenth (15th) day of June, PERSONALLY CAME AND
7 APPEARED:

8

9 Dre BENTE VILLADSEN, principal at The Brattle Group
10 business address is 1, Beacon Street, Boston,
11 Massachusetts (USA);

12

13 WHO, after having made a solemn affirmation, doth
14 depose and saith as follows:

15

16 EXAMINED BY Me PATRICK OUELLET:

17 Q. **[145]** So, I'll restate my earlier question : you
18 have on the screen in front of you a PowerPoint
19 presentation. Do you recognize the document?

20 R. I do.

21 Q. **[146]** Can you briefly explain what this document
22 is?

23 R. This document is a presentation of my direct
24 evidence in brief.

25 Q. **[147]** Do you adopt this as being part of your

1 evidence?

2 R. I do.

3 Q. **[148]** So, we see... you can start briefly with the
4 agenda that we see on the second slide.

5 R. If we could move down a little bit, so we can see
6 the agenda. What I was going to talk about here is
7 my background and what information I would rely
8 upon to come up with my recommendations. I will
9 discuss a few key concepts that's very important
10 for cost of capital determination, and I'll provide
11 a brief summary of my recommendations before I move
12 into some key issues that are of interest here,
13 mainly input to the various models we use, interest
14 rates, the market risk premium, systematic risk of
15 beta, and then the input to the discounted cash
16 flow model which is growth rates. I will talk about
17 capital structure and I've already seen some
18 questions about that that I'll try to address. And
19 lastly, I'll review some of my ROE recommendations
20 and capital structure recommendations and how I
21 arrived at those.

22 Q. **[149]** What is it that you mean by "key issues"? You
23 have five key issues there, what are those
24 generally?

25 R. Those are key issues that really determines what

1 cost of equity we come up with, and it's also
2 issues that are somewhat controversial in this
3 proceeding. Issues where we are all in agreement, I
4 didn't want to do it specifically.

5 Q. [150] Okay. So, those five issues would be
6 disagreement with who?

7 R. With Dr. Booth who is another witness in this
8 proceeding.

9 Q. [151] Maybe we can move to the next slide on
10 background and you can brief us on your... on your
11 background and mandate.

12 R. So, my background is I have twenty-two (22) years
13 of experience primarily in cost of capital and
14 regulatory finance. I focus on cost of capital,
15 regulatory accounting and utility mergers and
16 acquisitions, that's the bulk of my work.

17 I have worked extensively in Canada, I have
18 been a consulting to the British-Columbia Utilities
19 Commission, I have served as an expert for the
20 Ontario Energy Board and I have served as an expert
21 for utilities in Alberta as well as an expert in
22 pipeline arbitration. I have also done extensive
23 consulting work for Canadian pipelines, electric
24 utilities and gas utilities in five different
25 provinces. And lastly, I have cost of capital

1 extensive experience in both Canada, the US, as
2 well as outside like Mexico, Barbados, Australia
3 and in Europe. So, that's...

4 Q. **[152]** What kind of... what kind of experience do
5 you have outside of Canada, just briefly?

6 R. So, I have served as cost of capital in US cost of
7 capital proceedings, in Mexico, cost of capital
8 proceedings as well as in Barbados, Australia and
9 Europe. I provided other experts reports and in
10 some cases appeared at hearings.

11 Q. **[153]** Maybe you can go on with your mandate?

12 R. In terms of my mandate, I was asked to provide
13 recommendation for the cost of equity and equity
14 percentage for the regulated Quebec gas utilities
15 such as Énergir and Gazifère until a new rate case,
16 and in the case of Intragaz on for the next ten
17 years. And jointly I'll refer to those as the
18 Utilities, it's all the gas utilities here in
19 Quebec. So those, that was my mandate.

20 And if you just go down to the information
21 I relied upon. In terms of the information I relied
22 upon, from the Utilities I have got a number of
23 financial data and I used that primarily for my
24 credit metric analysis, they also provided me with
25 credit rating reports as well as a list of prior

1 cost of capital proceedings here in Alberta (sic).
2 And I looked extensively at data providers and I
3 listed those here in my second bullet point. I
4 don't think I need to mention all of them, but
5 these are all well recognized data sources that I
6 used to come up with my estimates.

7 Q. **[154]** If you'll just excuse me for a second. You
8 said that you were provided by the Utilities with a
9 list of prior cost of capital proceedings "here in
10 Alberta", was that what you meant?

11 R. Here in Quebec. My apologies.

12 Q. **[155]** Go on, I'm sorry.

13 R. And I also looked at various public data that's
14 simply available on the Internet, that includes
15 documents from the Régie as well as from other
16 regulators, the Bank of Canada, Federal Reserve and
17 other public sources, also credit rating reports
18 and articles in the news. And lastly, I would
19 mention the testimony of Dr. Brown who assesses the
20 risk of the Utilities relative to my US gas sample.
21 So that was an input to my analysis.

22 So, if we could move down to my cost of
23 capital recommendations. I just want to summarize
24 before we get into all the details of how we got
25 there. So, my summary is that: I recommend a

1 benchmark return on equity of ten percent (10 %)
2 and on forty-three percent (43 %) equity, common
3 equity.

4 Q. [156] Now, Dr. Villadsen, if you allow me I see
5 here on this slide that you have no preferred
6 shares. Maybe, can you discuss that in a bit more
7 details why you have no preferred shares while we
8 know that Énergir presently has seven point five
9 percent (7.5 %) of preferred shares?

10 R. So, on the account that you have seven point five
11 percent (7.5 %) deemed preferred shares. They don't
12 have any actual preferred shares. So, it's a little
13 off to have preferred shares in a capital structure
14 when they are no preferred shares and cannot be any
15 preferred shares because they have only... they
16 don't have to issue equity of preferred shares, on
17 their own.

18 So, a question we ask also, so I ask myself
19 is, what would be reasonable for these Utilities
20 assuming that we start from scratch. So, we need to
21 have a capital structure that is reasonable. And we
22 also need to have a capital of structure that leads
23 to a reasonable fair returned in combination with
24 the allowed return on equity.

25 I heard yesterday some discussions of an

1 optimal capital structure. In my opinion, there is
2 no such things. There's good capital structure and
3 there's bad capital structure. And I'll explain
4 what I mean by that. A good capital structure is
5 one that allowed you to have solid credit metrics
6 and allowed you to take advantage of the tax
7 benefits of that. That put you somewhere in the
8 middle of the range, you can't have a hundred
9 percent (100 %) equity. You can't have a hundred
10 percent (100 %) debt. So you need to put it the
11 middle.

12 Within that range you can sort of chose
13 between debt equity and preferred. If you have less
14 equity, your custom equity goes up, and your
15 request of debt will also go up. For further
16 equity, addressing that specifically, is in between
17 debt and equity. That's how credit rating agencies
18 use it, that's how equity analysis use it. So, and
19 the cost of it, is in between the cost of debt and
20 the cost of common equity.

21 So, when we are thinking of it is that
22 preferred shares that Énergir currently is deemed
23 to have, was allocated to common equity and to
24 debt, sixty percent (60 %) to common equity, forty
25 percent (40 %) to debt. It's a little bit less to

1 common equity then what PBIS, which is a credit
2 rating agency would have done, that was to be
3 conservative. It's also taking into a account what
4 I'll get into later which is that... at forty-three
5 percent (43 %) equity Énergir will be able to meet
6 a ten percent (10 %) return on equity. And at the
7 end will be able to meet his credit metrics. So
8 that was two considerations.

9 And, I also list on this page, that...
10 because doctor Brown says the business risk of
11 Intragaz and Énergir is similar, the common equity
12 percentage is the same. And then I recommend a ten
13 percent (10 %) base ROE plus fifty percent (50 %)
14 adder for keeping it fix for ten (10) years. And
15 lastly, Gazifère is riskier than the other
16 utilities, that is also the recommendation of
17 doctor Brown. It's also consistent with what
18 Énergir currently (inaudible) Gazifère therefore we
19 need to increase it's common equity percentages.
20 So, that's where we are currently sitting. I would
21 say here, and I heard some questions from the
22 Tribunal yesterday in this regard is, couldn't we
23 just increase the equity percentage, for example,
24 for Intragaz who currently has more equity and then
25 reduce the return on equity. And that's certainly a

1 possibility. You could, instead of having this ten
2 / forty-three (10/43), you could have forty-six
3 (46) and a slightly lower cost of equity. That's an
4 option. Though forty-three (43 %) and forty-six
5 percent (46 %) equity would be in the ways of what
6 I consider reasonable. Does that address your
7 question?

8 Q. **[157]** It does.

9 R. Thank you.

10 Q. **[158]** So. Next slide. On the Key Concepts. Maybe we
11 can do a few of those key concepts and, and then
12 when it's time to break... I don't know what the
13 Régie wants in terms of the lunch break or would
14 you prefer to go to noon? Let's go on and we will
15 do the first key concepts and then will see where
16 that take us.

17 R. So I want to make sure we all understand the key
18 concepts before we get into the nitty gritty
19 details of what we're actually doing in estimating
20 the cost of capital.

21 I think all those in finance and economists
22 will agree a key concept in financial economics is
23 the risk-return tradeoff. The higher the risk of an
24 investment the higher the return needs to be. And
25 that's what I've depicted in this chart we see

1 right here.

2 Importantly the chart start at that dotted
3 line where you have what I call the risk-free rate,
4 that the return on a risk-free asset, you cannot
5 have a lower return then that on any kind of an
6 investment. And then it moves upwards so that the
7 higher the risk is the higher the return. That's a
8 key concept.

9 Two other key concepts that will become
10 important is one the cost of capital. What do we
11 mean when we say that? It's the expected return on
12 alternative investment of equivalent risk. And I
13 would underline two things here. One it's an
14 expected return, not the current return, not an
15 historical return but the expected return. And the
16 other key concept is equivalent risk, that comes
17 from the fair return standard: we need to provide
18 investors with the same return as they can get
19 elsewhere. And elsewhere is the marketplace.

20 And lastly, and that's just a definition,
21 let's look at what is systematic or non-
22 diversifiable risk. It's the risk that investors
23 cannot avoid by holding a diversified portfolio of
24 assets. That's distinct from business risk that
25 doctor Brown was talking about earlier in that it's

1 the risk he meet in the marketplace it's not
2 related to risk that can be mitigated in other
3 manners, and let me just say the word it's what we
4 (inaudible) sampling model.

5 So that's the key concepts we need to know.
6 If we can go the next slide.

7 So how do we go actually about determining
8 the cost of equity. One thing that's really
9 important to know is that we cannot observe the
10 cost of equity. It represents the way the return in
11 capital market, that's the key concept, we need to
12 look at publicly traded issues to determine
13 anything about the cost of equity. So that's where
14 we get back to what doctor Brown was talking about
15 earlier, we cannot look at subsidiaries of
16 companies if we want to estimate the cost of
17 equity, we need to look at traded entities, they
18 have to have publicly traded securities.

19 Q. **[159]** May I ask you, doctor Villadsen, to speak
20 maybe a little slower because we're advised that it
21 may be difficult for the translation. So I'm sorry
22 about that but go on on you key concept, just a
23 little bit slower.

24 R. I'll do my very best. So that's why we look to
25 publicly traded entities. And also what we often do

1 is we select a sample of publicly traded entities,
2 we select those so they have comparable business
3 risk, to the degree we can. And then we apply
4 financial model to determine what is the cost of
5 equity for these comparable business risk entities.
6 And we do so using various models for estimating
7 the cost of equity.

8 And a couple of models are commonly
9 preferred, so most analysts would look to the
10 capital asset pricing model or the CAPM, and
11 another commonly use model is the discounted cash
12 flow model or the DCF model. In my opinion it's
13 important to look at least at a couple of models
14 because all models have pros and cons and which one
15 dominate at anyone given time is a question mark of
16 what the data shows you and what economic
17 environment it is. So multiple models are
18 important.

19 Moving on to the models, let's go to the
20 next slide. The first model the capital asset
21 pricing model it's based on a financial economics,
22 and I won't go through the criteria because I think
23 everyone would be bored by then, but what it
24 essentially says is: the cost of equity is equal to
25 a risk-free rate plus an amount. That was what we

1 talked about before in the risk-return tradeoff, we
2 need to add to that risk. We add a factor that
3 determines a systematic risk, we call it Beta, and
4 then we multiplied that with the market risk
5 premium. And I've illustrated that over on the
6 chart where the CAPM line shows how it relates. The
7 Beta is on the X axis and the cost of equity is on
8 the y axis. The Beta is the slope of this line and
9 what you can see is the market was premium at 1.0
10 is simply the rate over and above the risk-free
11 rate that investors require to hold equity instead
12 of a risk-free asset. The cost of equity is always
13 higher than the risk-free rate.

14 So, the higher, all else equal, the higher
15 the risk-free rate, the higher the cost of equity.
16 All else equal the larger the systematic risk for
17 the beta, the higher the cost of equity, and all
18 else equal the higher the market risk premium, the
19 larger the cost of equity. Importantly...
20 especially the risk-free rate and the market risk
21 premium interact, so you can't just say if you
22 increase one by one, you would have the similar
23 increase in your cost of equity, that would not be
24 a true statement.

25 Q. [160] What relationship is there in your opinion,

1 between the risk-free rate and the market risk
2 premium?

3 R. In general, when, especially if we look at a
4 forward looking market risk premium, as the
5 risk-free rate increases you will generally see the
6 market risk premium decline, because the market
7 risk premium is the rate investors require to hold
8 equity over and above to risk-free rate. So, you
9 subtract the risk-free rate from the market return
10 essentially to get the market risk premium. So,
11 those two would generally move in a slightly
12 opposite direction. Not one to one...

13 Q. [161] I don't know if I'm the only one, but I lost
14 your sound completely?

15 Me PATRICK OUELLET :

16 Est-ce que vous m'entendez... est-ce que vous
17 entendez Dr. Villadsen, les autres?

18 LE PRÉSIDENT :

19 Oui, très bien.

20 Me PATRICK OUELLET :

21 O.K. O.K. Je m'excuse, moi, j'ai... mon son a
22 coupé, mais c'est revenu, là.

23 So, I'm sorry, Dr. Villadsen. If you could
24 go back, because I did not hear your answer the
25 relationship... I got the last "not one to one",

1 but I didn't get what you said before.

2 R. So, in general what happens is if the risk-free
3 rate increases there will be a thick line in the
4 market risk premium, not... it's not as if the...
5 the risk-free rate increases by one percent (1%),
6 say the market risk premium will not decline by one
7 percent (1%), but it will decline on average.

8 Q. **[162]** Will it decline more or less than one percent
9 (1%) if it's not one percent (1%)?

10 R. Less than one percent (1%).

11 Q. **[163]** So, what would be the total effect on the
12 cost of equity in that theoretical example?

13 R. I can't give you a precise answer here, simply
14 because there is no such answer it depends on the
15 time.

16 Q. **[164]** Okay.

17 R. But historically, you're probably seeing an
18 increase in the cost of equity of point four to
19 point 6 (0.4 to 0.6) of what is the increase in the
20 market... in the risk-free rate, so it's not a full
21 increase, but a part of that increase. That's
22 historically and it... but it all depends on where
23 you are on the line. Let's go to the next slide.

24 The other key concept here is the
25 discounted cash flow model and what is that. In the

1 discounted cash flow model, the current price of a
2 stock is the present value of the expected stream
3 of cash flows that accrue to stockholders,
4 discounted at the cost of equity.

5 Again, a couple of things are important,
6 it's the expected stream of cash flows, not the
7 expected stream of dividends, which is often
8 confused, it's the cash flows.

9 Q. [165] So, aside from dividends, what else can there
10 be that's going to count in the cash flows?

11 R. That could be, for example, shares buyback would
12 distribute cash to shareholders, so that would be
13 another way of doing it. There could be a buy-out
14 or anything else. If we assume that dividends are
15 the only distribution to shareholders, and if we
16 assume that dividends are the only distribution to
17 shareholders and if we assume that dividends grow
18 at a constant rate, then the cost of equity can be
19 determined by this formula that we have in the
20 middle. The cost of equity is simply the expected
21 dividend in the next period over today's stock
22 price, that's the dividend yield plus the growth
23 rate in dividends.

24 If we don't have that simple relationship
25 and, for example, the growth varies over time, you

1 will have to built a more sophisticated model to
2 determine what that cost of equity is. It can still
3 be done.

4 Q. **[166]** How would you go about doing that, briefly?

5 R. I would build a (inaudible) model out the first
6 several years. For example, I have five years of
7 growing at a company specific growth rate, then I
8 have five years maybe of growing at a rate that
9 converges towards the general DDP growth rate, and
10 then after that, I assume it goes at the DDP growth
11 rate, that's how I model it. And then, you use a
12 very (inaudible) mechanism to figure out what that
13 means to cost of equity.

14 Q. **[167]** Thank you.

15 R. Last key concept : capital structure. We've heard a
16 lot about that already.

17 Q. **[168]** So, that would be the next slide.

18 R. Next slide, please. So, I will start at my
19 illustration on the right hand side here, which is
20 taken from a textbook in corporate finance,
21 textbook by Brealey, Meyers and Allen. And I think
22 that will help clarify a few things for... what
23 this show in the middle is that expected return on
24 assets -- and notice that I say assets, not equity
25 -- that's the expected return on on the company's

1 total assets and they show that as being constant
2 over time. It's a simplification, but it's constant
3 in a reasonable range. And what they also show at
4 the top line, the one that's going up above the
5 blue line, is that the expected return on equity
6 increases as you increase the level of debt to
7 equity in your capital structure. And then at the
8 bottom they show that the cost of that also
9 increases as you increase that debt to equity ratio
10 in your capital structure. That's what we talked
11 about earlier on, that there is no such thing as
12 optimal. You can't say that forty-three point two
13 three four (43.234) is the optimal percentage of
14 equity. That's a range of optimal equity structure.
15 So, that's what this chart is illustrating.

16 What that means for the cost of capital or
17 cost of equity determination is that one, if we are
18 looking at two otherwise identical firms and you're
19 looking at one has a high level of equity, one has
20 a low level of equity, the one with the high level
21 of equity needs a lower return on equity or a lower
22 cost of capital, cost of equity, than the one with
23 high level of equity... sorry, low level of equity,
24 my apologies.

25 We talked about the level of debt as being

1 the financial risk because it puts risk on equity
2 holders, because remember that investors have a
3 higher claim on a company's cash flows than do
4 equity holders and should things go really wrong
5 and we have a default, all the assets go first to
6 debt holders before equity holders get anything.
7 And also a higher level of debt simply reduces the
8 amount of cash flows available to equity holders.

9 It's also that level of capital structure
10 (inaudible) of debt and equity is important also
11 for credit metrics analysis, particularly most of
12 the credit rating agencies have targets for what
13 you should be having in terms of the percentage of
14 equity or in terms of how well can you cover the
15 interests you have to pay, etc.

16 How do we look to this in terms of
17 adjusting for one company has a low percentage of
18 equity, one that has a high, well we look to two
19 methodologies used to account for them. The one I
20 focus on is what I call the Hamada technique in the
21 capital asset pricing model. What it does here is
22 that first you take the beta you've estimated for
23 the systematic risk estimated for anyone company at
24 a given capital structure. You determine what the
25 beta would be if you had a hundred percent (100%)

1 equity, that is you unlever your beta, so you get
2 your asset beta to a hundred percent (100%) equity
3 beta. Then you will lever it to, in this case
4 forty-seven -- forty-three -- (43%) equity that I
5 recommend for the Utilities, and that's the beta
6 that's relevant to apply for the Utilities if they
7 have forty-three percent (43%) equity.

8 You could also use the after-tax weighted
9 average cost of capital and hold it constant as its
10 shown in the chart here. I calculate all of these
11 results, but I also make sure that all of my
12 recommendations are fully supported by the Hamada
13 technique, and the reason for that is that the
14 Régie in two thousand and nine-two thousand and ten
15 (2009-2010) decided they didn't want to rely on the
16 after-tax weighted average cost of capital
17 methodology, so for that reason I don't want to
18 rely on it either, and the Régie has, to my
19 knowledge, not previously actually look into the
20 Hamada methodology. That concludes my slide 10.

21 So, this is just a summary of what I do, I
22 use...

23 Q. [169] So, maybe we can do the summary and then
24 perhaps it would be a good time for a break.

25 R. So, the summary of what...

1 LE PRÉSIDENT :

2 Ce serait très bien.

3 Me PATRICK OUELLET :

4 I'm sorry? Je m'excuse, Monsieur le président.

5 LE PRÉSIDENT :

6 Oui. Je trouve que vous faites une bonne
7 proposition.

8 Me PATRICK OUELLET :

9 Parfait. Merci.

10 Q. **[170]** So, go on, Dr. Villadsen.

11 R. So, I will be brief, I have talked about this
12 before. So, in terms of what I actually do, I
13 select a sample, a Canadian utilities sample and a
14 US gas LDC sample -- Dr. Brown was asked about
15 those -- and I also support it by US water
16 utilities sample. For each of these companies in
17 those samples, I implement a capital asset pricing
18 model, I also implement an empirical capital asset
19 pricing model, and I'll talk about why I don't
20 emphasize that so much here later. I also implement
21 two versions of the discounted cash flow model, a
22 single stage and multi-stage plus the one Mr.
23 Ouellet asked me to describe. And then I look to
24 how do we take the leverage of the companies in the
25 sample into account in relation to my

1 recommendation for the Utilities.

2 I also have to determine what exactly the
3 capital structure I should recommend for these
4 Utilities. I go about that by looking at their
5 current capital structure and a series of different
6 allowed returns to determine at what level would
7 they be able to meet their credit metrics.

8 Once we know what is the level they need to
9 meet their credit metrics and what we can look at,
10 we can estimate... go back and estimate the cost of
11 equity at that level. So, that's my approach to
12 looking at this approach, and that's what my
13 recommendations I looked at earlier were based on.
14 I will get into more details and especially where
15 Dr. Booth and I disagree as we get into the issues
16 as I call them up, the five issues.

17 Q. [171] Okay. So, I... when we resume after lunch, we
18 would be at slide number 12 of your presentation.

19 R. Thank you.

20 LE PRÉSIDENT :

21 Merci. Alors, on se revoit à treize heures (13 h).

22 Me PATRICK OUELLET :

23 Parfait merci beaucoup.

24 LE PRÉSIDENT :

25 Merci.

1 SUSPENSION DE L'AUDIENCE

2

3 REPRISE DE L'AUDIENCE

4 LE PRÉSIDENT :

5 Rebonjour.

6 Me PATRICK OUELLET :

7 Rebonjour. Je vais juste ajuster mon écran. O.K.

8 Q. [172] Dr. Villadsen, are you ready?

9 R. I'm ready.

10 Q. [173] Okay.

11 R. So, let's go to the next page.

12 Q. [174] I think we were on the slide number 12 now,
13 before we left off.

14 R. Yes. So, before we get into all of the details of
15 how we estimate the cost of equity, I just wanted
16 to look at some key economic and financial risks,
17 and what is on this slide is all taken from the
18 Bank of Canada June one (1) press release. So,
19 that's new relative to my filed evidence, and
20 that's also why you'll see later I actually updated
21 my evidence to take... to check that my
22 recommendation was still valid.

23 Key things that the Bank of Canada point
24 out is that we have a rising inflation, it's now
25 quite high, six point eight (6.8) in April. We have

1 a slowing global economy in part due to that
2 growing inflation, it's not just Canada it's also
3 the US, and Europe has high inflation. And since my
4 evidence was filed we have seen an invasion of
5 Russia in Ukraine, and we have significant supply
6 chain disruption around much of the world, and all
7 of that has lead to some significant increases and
8 decreases in stock market in the recent years. And
9 as the Bank of Canada say :

10 With the economy in excess demand, and
11 inflation persisting well above
12 target, we expect that interest rate
13 will need to move up in the near
14 future.

15 So, that's an important consideration to take into
16 account.

17 Q. [175] Where did you take that quote from?

18 R. That comes from the Bank of Canada, it's the most
19 recent policy statement from the Bank of Canada.

20 Q. [176] Okay.

21 R. June one (1), twenty twenty-two (2022). Next slide,
22 please, and you can actually move two slides ahead
23 to slide number 14.

24 Q. [177] Okay. So, we're getting into what we've
25 called the "key issues" or the main differences

1 between yourself and Dr. Booth. Perhaps you want to
2 name them, and then we will go with the first one.

3 R. Yes. The key differences, I took five of them and
4 the first three : the interest rate, market risk
5 premium and the systematic risk or Beta, are all
6 inputs to the capital asset pricing model. The
7 growth rate, which is number 4, is a key input to a
8 discounted cash flow model, and then last there's
9 the capital structure which affect both the credit
10 ratings of companies and it also affects what level
11 of the cost of equity we should actually assign to
12 the utilities.

13 With that introduction, let's go to the
14 first key issue : interest rate. And here on slide
15 15, over on the right hand side, I depict the
16 Canadian thirty (30) year government bond yields
17 from two thousand (2000) until... it's until May of
18 this year, and then also where the dotted line is
19 into the right of that is a forecast. There's also
20 a little dot there that's indicated by a yellow
21 arrow, that's where we were when I filed my
22 evidence. It is clear from the chart we've been
23 going up since. So, and the fork is expected to go
24 up further according to the forecast.

25 It has become common to use a yield on a

1 long-term government bond for the purpose of
2 estimating the cost of capital for utilities. And I
3 prefer to use the forecast, the best possible
4 forecast, for the period where the rate or the cost
5 of equity that we determined here will be in
6 effect. Dr. Booth, in turn, uses what can best be
7 referred to as a normalized risk-free rate.

8 So, we have seen an increase, so clearly
9 what I would use today is higher than what I would
10 have use when I filed my evidence, Dr. Booth is
11 just somewhere in between.

12 And I want to really emphasize that it is
13 important to recognize that interaction between
14 interest rates and the market risk premium for two
15 reasons. One, as we talked about before, they move
16 somewhat in conjunction, and second, you can not go
17 out and say : "I want to use the yield on a thirty
18 (30) year bond", and then use a market risk premium
19 that's all over something different, they have to
20 match, that's important. So, the second issue...

21 Q. [178] Just before we go to the second issue, what
22 does Dr. Booth do when you said they have to match?
23 Does he match them?

24 R. It's not clear because I'm not quite clear about
25 how Dr. Booth comes up with his market risk

1 premium.

2 Q. **[179]** Why do you say that?

3 R. I can explain that if you go to the next page.

4 Q. **[180]** Okay.

5 R. I will go down into that. So, I will explain as we
6 get into the market risk premium why it's not
7 clear. It's also a key input to the capital asset
8 pricing model and it's what you would get over the
9 risk-free rate in the stock market (sound cut), you
10 can actually look to the TSX index. I looked to the
11 past and to the future...

12 LE STÉNOGRAPHE :

13 Excusez-moi, excusez-moi. Stop, please, votre image
14 a arrêté une petite seconde, il faudrait répéter la
15 dernière phrase.

16 Me PATRICK OUELLET :

17 We also had an issue with the sound. Maybe we can
18 go back, Dr. Villadsen, and start over this slide
19 number 16.

20 R. Sure. Can you hear me now?

21 Q. **[181]** Yes.

22 R. So. The Market Risk Premium is the return that
23 investors require over and above the Risk-free
24 Rate. So if we use a (inaudible) is over the thirty
25 years risk-free rate. In Canada, we use to look to

1 a TSX for that, in the US we would look to the S&P
2 500 or some of big market index. I look to the past
3 and to the future. So I look to historical what has
4 historically been earn over and above the thirty
5 (30) years rate. And I calculated the long-term
6 average.

7 I also look to the future and that I've
8 look to what does recognized financial data
9 provider forecast what the market will be. If you
10 look back, you should look back a long period of
11 time because textbooks will recommend that. It's a
12 better representation of all kinds of conditions.
13 In turn, doctor Booth looks to historical averages.
14 He also looks to surveys and then, I'm not clear
15 exactly how he mixes those up to come up with his
16 results. We might be able to see that data, if you
17 go to the next stage, next page, page 17.

18 So what I listed on the top here, was...
19 there was sources I got when I did my original
20 analysis. I got a historical market with premium of
21 5.68 at the date of filing. It has since increased
22 to 5.91 because twenty twenty-one (2021) data
23 became available. And the market was premium as
24 determined by Bloomberg's forecast as declined for
25 8.1 as of the date of filing to 5.9 as of May

1 twenty twenty-two (2022). So, we've seen a movement
2 in both directions.

3 I'm not clear how doctor Booth arrives at
4 his numbers. He looks to the history only because
5 his surveys ask people: "What did you use?". Not:
6 "What will you use?". But "what did you use?". And
7 then he says that's an average of 5.5 to 6 or a
8 midpoint of 5.75. Which is below that historical
9 average I find as of May.

10 He does not consider anything about the
11 forward looking MRP's. And, he does not have a
12 calculation that shows how he comes up with his 5.5
13 to 6.0. That's why I say: I don't know exactly
14 where the number came from.

15 Slide 18. And we get to the third key
16 issue, again an input to the capital asset pricing
17 model. The beta. What I depicted over on the right
18 hand side is how do we determine a beta. So each of
19 these little dots here, indicate where under X axis
20 have a market return, and then the Y axis I have a
21 company specific return in the market. And then, I
22 find what is the best fitting line in a statistical
23 sense. In other words, where are the variations
24 around the line, the smallest. That's my
25 regression. And that's slope is my beta. And that

1 capture how, how does that market... how does the
2 individual companies risk varies with that of the
3 market. That what it captures.

4 I think once you'd look to three to five
5 years of preferably weekly data. Too short a period
6 you don't have enough data to get a statistically
7 high quality estimate. Too long a period you failed
8 to recognize changes in the industry. And that's an
9 important issue.

10 I also use that Blume adjustment which
11 importantly moves the beta towards a value that
12 statistically provide a better forecasted beta.
13 It's not a matter of moving towards one which is
14 what many people say. It's a matter of providing
15 the best possible statistical forecast.

16 Q. [182] What do you mean but... you just said it's
17 not a matter of bringing it close to one that's
18 what people say. What are you, what are you
19 referring to?

20 R. So. For example doctor Booth will say I move it
21 towards one. That's not my intention. My intention
22 is to provide the best possible forecast of the
23 beta.

24 Slide 19. And, in the last cross-
25 examination we heard a lot about samples. So let's

1 look at the samples. I selected three samples of
2 which I'm showing two, here. And that those were
3 the two I relied upon. The Canadian Regulated
4 Utilities and US Natural Gas Distribution
5 Utilities. I also looked to US Water Utilities as a
6 check on the other two samples.

7 So how did I go about coming up with these
8 samples. I looked to what are the companies that
9 are listed as either Canadian Utilities, they have
10 to be listed on the stock market for me to use
11 them, or what is listed as US Natural Gas
12 utilities.

13 Q. [183] Why do you say they have to be listed on the
14 stock market for you to use them?

15 R. Because before I said, I needed to calculate my
16 beta which is the market return versus the return
17 in the market on an individual company. So I have
18 to have a company that is publicly trade. So I
19 talked to all the companies that will classified as
20 such, and then I started looking at what to these
21 companies do. Clearly they need to have enough data
22 that I can estimate my results. They need to be, at
23 least, investment grade otherwise there's
24 problematic issues. If I wanna do the discounted
25 cash flow model they need to pay dividends, and

1 then I eliminate any company that is actively
2 involved in a very large merger position, because
3 that impacts their stock prices.

4 And once I've done that, I looked to what
5 do these companies do. And for me the key thing
6 here is: regulated assets. You need to have
7 sufficient amount of regulated assets that you
8 actually can qualifying as a regulated entity. And
9 as a sample, because that's what we enter into the
10 rate base and earn a return on. In turn like
11 revenues, for example, vary widely from year to
12 year, that's good measure, so I look to assets. And
13 what percentage is regulated? I'm not so concern
14 about whether you are, engage in say providing gas
15 distribution or electric distribution. It's more
16 important that you are highly regulated by the
17 provincial or state regulator.

18 So I looked at that for all of those
19 companies, and I list over there on the white hand
20 side, you have the Canadian Sample and not only did
21 I provide, as it is in my testimony and what we
22 look at in prior testimony that (inaudible), higher
23 than eighty (80) or not but also the actual
24 percentage. So, you can see what the percentage of
25 regulated assets is.

1 And I will also say that I have a couple of
2 dots over there to the left of the tables. Those
3 are companies that since the filing of my
4 testimony, have engaged in substantial merges or
5 acquisitions. And therefore I would not include
6 them today.

7 One thing to know here, is, all the gas LCD
8 sample, which we've heard a number of criticism off
9 and we might talk more about that later but, these
10 companies all have a quite high regulated asset
11 mix. The only company, in my US gas sample, that
12 does not have more than 80 % regulated assets is
13 New Jersey Resources. So, yes it's true that some
14 of these companies certainly have water
15 distribution, electric distribution, some even have
16 pipeline segments. But the pipeline segments are by
17 in large gas pipelines that served their own
18 customers. And I treated them similar to other
19 assets.

20 So that's what the companies look like. For
21 each of these, I estimate the beta and then I look
22 to what would that result is in terms of the
23 capital asset pricing model cost of capital.

24 Next slide please. Here what this shows is
25 on the right hand side, I have three year weekly

1 betas. The green line is the Canadian sample, the
2 blue line is the US gas sample. And what we can see
3 is that both have moved up in recent years and what
4 is also important to know this year, there was a
5 period of time when the... especially the US gas
6 LCD sample actually moved down and then it came
7 back up. And I think here, I use three year weekly
8 beta. I think it's important to use a long enough
9 period that you can get statistically valid
10 results, but also as doctor Booth says, betas
11 changed through time as the risk of the underlying
12 asset or portfolio changes. Therefore, you also
13 need to make sure that it's current enough that you
14 can take that into account. That's especially
15 important in something like the gas industry that's
16 currently changes.

17 I want to address a couple of issues with
18 doctor Booth's testimony. Doctor Booth chooses a
19 beta of 0.50-0.55. The average beta he estimates,
20 he himself estimates in his appendix for the
21 Canadian, for his Canadian sample is 0.74. So
22 that's an...

23 Q. **[184]** Do you understand why that's not the figure
24 he uses?

25 R. I can't speak for doctor Booth. In terms of...

1 should we use adjusted versus unadjusted betas, as
2 I said before, it's not... it's an adjustment
3 that's made to get a better reflexion of the future
4 beta. And I also wanna mention clearly that, if we
5 look at today and my average beta is about .85 it
6 really doesn't matter much whether you adjust it or
7 not. That's .05 change difference. Whether if you
8 did it at the average of say doctor Booth sample it
9 does matter. It does not matter with the numbers I
10 use. Which are today's numbers.

11 Next slide please. So, this is just a
12 summary of our differences. And I don't think I
13 wanna spend a whole lot of time on that. I use
14 three and five... I present three and five year
15 beta. My results use three year beta that's not
16 much of a difference. Doctor Booth looks back up to
17 twenty (20) years. He does provide estimates with I
18 believe a five year monthly betas, they are higher
19 than what he uses. And the last I want to say is
20 that I have and many others have move to use
21 higher frequency beta that we would have done ten
22 (10) years ago. Ten (10) years ago, entity such as
23 Value Line would use monthly data to estimate their
24 beta. Today they use weekly. So does someone like
25 S&P Global Intelligence. Again they use weekly

1 today. Bloomberg I believe has always used weekly
2 betas. And that's why I believe today it's a profit
3 to use weekly betas.

4 Q. **[185]** Can you briefly explain the difference. If
5 you use weekly versus monthly? What is it gonna
6 change?

7 R. So that's two things that really change. One is
8 that if you use monthly you have to go back further
9 to get enough data. So if you use a three year of
10 monthly, data you only have 36 observations. Where
11 if you use three years of weekly you have hundred
12 and fifty six (156) observations. That's a lot more
13 and give you better statistical results.

14 Second, if you go back, and if you go back
15 that far, you don't capture today's environment.
16 Second, depending on circumstances, you might
17 failed to capture interaction in between so, most
18 stocks will change on a daily basis. So if you only
19 measure once a month, you're getting very
20 (inaudible) measurement in changes of that. Okay.

21 Slide 22. Next issue. Now we're moving to a
22 discounted cash flow which is the other model. And
23 here we are looking at the growth rate to... which
24 is use in the controversial part of that. It
25 would... what percentage expected compound annual

1 growth in a company's earnings over the next three
2 to five years. I use Consensus forecast that is
3 forecast that are aggregated by data providers as
4 many equity analysis as they can find who provide a
5 forecast. In the multi-stage DCF that growth
6 forecast is combined with a forecast on the long-
7 term nominal GDP growth, and use to be tapered up
8 or down over a period of time. I use five years for
9 that table.

10 Next slide please. And on slide 23, I'm
11 trying to illustrate the key differences between
12 doctor Booth and myself. Doctor Booth criticize
13 analysts' forecasted growth as being upward biased
14 and he also criticize the use of earnings growth.

15 I have a problem with Dr. Booth criticism
16 and my problem is really that Dr. Booth relies on
17 generic research on whether or not analyst upward
18 bias growth rate for say a period X.

19 That's not what we're looking at. The
20 relevant question is whether or not the growth rate
21 for the utilities were using in the sample is bias.

22 That is utilities, highly regulated
23 utilities. Such utilities are generally more
24 stable, have longer histories, and more assets to
25 revenues and therefore their growth rates according

1 to research is much more reliable. I would not
2 necessarily disagree that a tech company such as
3 say Google, or you can name it, have high
4 unreliable growth rate.

5 The other thing I would be concern about is
6 when he looks to industry data, he looks only up to
7 two thousand fifteen to two thousand eighteen not
8 contemporaneous data. That's an initiative along
9 the way to try to eliminate that growth bias.

10 The last thing I'm concern about is looking
11 to GDP growth for a discounted cash flow model is
12 problematic. It's possible that utilities growth
13 converges to that, but clearly we have better data
14 in the near term. Clearly companies such as
15 utilities or companies in my samples, both equity
16 analysts and the utilities themselves have ideas
17 about where they are going in the next two to five
18 years. So we should never use just annual growth
19 rate for the near term.

20 Now I would like to address the issue of
21 wether we should use earnings growth. Ultimately
22 all earnings accrue to shareholders, that's the
23 first thing to note. So they will get them, it's a
24 question of at what time. And second if you want to
25 look only to cash flow that accrue to dividends in

1 anyone given period you need to look at all cash
2 flows that accrue to shareholders, not just
3 dividends but also, for example, share buybacks or
4 any other cash that might accrue, share buybacks
5 are the most common. So those are my comments on
6 the DCF model.

7 Next topic and that will be my last topic
8 on this issue: capital structure. The first thing
9 I put on this slide is a cite from a textbook, the
10 Berk and DeMarzo from two thousand thirteen (2013)
11 which I also cite in my evidence.

12 And what is important here in the blue box:

13 The levered equity return equals the
14 unlevered equity return, plus an extra
15 "kick" due to leverage.

16 What to they mean by that? They mean the more debt
17 you have the higher the cost of equity. So that's a
18 fundamental issue in corporate finance. And
19 important here when we go out and measure, for
20 example, I've said it a couple of times, when we go
21 out and measure beta or any other return data we go
22 to the market. Therefore we measure everything in
23 the marketplace using market data, so as well the
24 capital structure is also based on the market.
25 That's important.

1 And as I told you earlier on in this
2 presentation there's multiple ways we can do that.
3 Formally tracking a number out of this results, I
4 chose to focus on the Hamada approach, that's the
5 key methodology I used and I made sure all my
6 results are supported by that. We can also use the
7 after-tax weighted average cost of capital, I chose
8 not to rely on that because as we have seen in the
9 past you did not appreciated that method.

10 Q. **[186]** Can you maybe give a little more details on
11 the Hamada approach?

12 R. Sure. So the Hamada approach, I'll use two versions
13 of it, but basically what it does, it says: Okay,
14 I've estimated a beta in the market, and say the
15 company in the market has sixty percent (60%)
16 equity, so the first thing I do, I go out and
17 figure out what should that beta be if I had a
18 hundred percent (100%) equity. That's my unlevered
19 beta. Having done that I now go back and say well
20 my target utilities, say, in this case Énergir,
21 Gazifère and Intragaz, I recommend a benchmark of
22 forty-three percent (43%) so what would that beta
23 be at forty-three percent (43%). I relever that
24 beta a forty-three percent (43%) equity.

25 In doing so, I take into account, in one of

1 my method, what is the impact of taxes. Dollar
2 metrics does not. But you can do, a (inaudible)
3 taxes. So that's basically what it does to come up
4 with what should you be doing.

5 The last thing I wanted to address in
6 capital structure, and that's on page 25, is one of
7 the data request from doctor Booth to myself,
8 looked at Market to Book ratio. And, basically the
9 suggestion was that, if the market ratio to book
10 ratio is about one, so if the market value of
11 equity is higher than the book value of equity,
12 you're earning above your allowed return. What the
13 return should be.

14 That's a very simplified and misconstrued
15 conception. For several reasons. When we look at
16 market values, we look at the value of all the
17 assets of the traded company. It could be regulated
18 entities, unregulated entities, growth
19 opportunities, etc. All of these things would be
20 included. So it's important, it's not... even if
21 you have a company that's a hundred percent (100 %)
22 regulated, the market value does not just reflect
23 what you currently have as your assets. It also
24 reflects growth opportunities. So, you can't say
25 that that's should be one. It does not mean that a

1 utility is at risk of having it's capital structure
2 change or having it's stock price drop or having
3 it's allowed return cut. It's just a measure in the
4 marketplace of what investors believe they will pay
5 for that asset.

6 Slide 26, please. The last thing I wanna
7 say about capital structure is, in doctor Booth's
8 testimony, he critiques heavily the reliance on the
9 ATWACC method, but barely mentions the Hamada
10 approach. And the other thing that is important to
11 note, the Régie has not previously addressed the
12 Hamada approach, so I think it's... does everybody
13 also got a feedback? O.K.

14 So the Régie has not previously addressed
15 the Hamada approach, so therefore I would present
16 that to the Régie in this case. And I wanna make
17 sure that people understands, and especially the
18 Régie understands, that it does consider the impact
19 of taxes and that my approach is completely
20 supported by the Hamada approach. The ATWACC
21 numbers that I reported in my evidence, are
22 slightly higher, I ignored there was for the
23 purpose of my recommendation.

24 Q. [187] So you did not use the ATWACC method for the
25 capital structure?

1 R. I used it in my DCF methodology, but I would think
2 what I recommend has to be supported by the Hamada
3 approach or I cannot recommend that number.

4 Q. **[188]** Okay.

5 R. Next slide please. Just to summarize my
6 recommendations. And I did that upfront also. The
7 benchmark ROE is ten percent (10 %) on forty-three
8 percent (43 %) equity. So fifty-seven percent
9 (57 %) debt. And then, and that's a reset basically
10 as we talked about earlier on. And then we
11 recommend that Gazifère is getting a higher equity
12 percentage because doctor Brown, and as the Régie
13 has previously recognized his riskier, and for
14 Intragaz, which is requesting a ten (10) year fixed
15 rate, we recommend a fifty (50) bases points adder
16 to that return on equity. It's also indicate a
17 little bit later, toward the end of my
18 presentation, I'll talk about how I looked at
19 credit metrics and how also, then discuss, why
20 these numbers make sense. I can also say for
21 example that forty-three (43 %) equity is the same
22 as taking Énergir currently thirty-eight point five
23 (38.5 %) equity and sixty percent (60 %) percent of
24 its current seven point five (7.5 %) preferred and
25 allocating that to equity and then the remainder to

1 debt. So we just removing the preferred.

2 Last slide in this section, on slide 28. I
3 don't wanna go into details on doctor Booth's
4 recommendations. I obviously disagree because we
5 have two very different numbers. But, what I would
6 say is, it's not based on, I don't know where all
7 of his numbers come from. It's not based on
8 utilities that face similar business risk, he does
9 not take a sample and estimate a number. He does
10 not consider the financial risk. It's also true
11 that doctor Booth relies on beta predominantly of
12 January twenty twenty-two (2022) and since then
13 obviously economic and financial conditions have
14 significantly changed.

15 I also would take exception to ongoing any
16 kind of an ROE decision to a decision made in an
17 another jurisdiction pertaining to a different
18 utility. I don't think that's a way of setting
19 ROEs. So the last...

20 Q. **[189]** Why, why do you say it's not, you don't think
21 it's a way of setting ROE to look at a decision in
22 New-Brunswick?

23 R. Because if every regulator went out and looked at
24 all the other decisions and set the ROE at the same
25 it would be circular. We would never move anywhere.

1 What I believe any regulator and the Régie and any
2 other regulators should do, it's to look at the
3 evidence in front of them, take the best possible
4 evidence and come up with their decision. That's
5 what I believe every regulator should be doing. And
6 that of course takes into account today's
7 conditions not what the conditions might had been
8 in New Brunswick whenever that decision came out.
9 And also takes into account whatever the specific
10 circumstances are in Québec.

11 So the last thing I wanna do here on doctor
12 Booth's estimates, it's to look at what happens to
13 his estimates if we take his beta and just do very
14 simple modifications to them.

15 Q. [190] Maybe we, before we, we go there. I don't
16 think you covered the last part of that slide on
17 page 28. When you say "doctor Booth ignores his own
18 data." What do you mean by that?

19 R. I mean that doctor Booth estimates a beta for his
20 Canadian sample to be 0.74 but he uses an average
21 beta of 0.5 to 0.55. I don't know where that number
22 come from. Doctor Booth says his MRP estimate is
23 0.5 to 0.60 and, I again don't really know where
24 that number come from. He doesn't have a specific
25 source. And then he has this bond buying adjustment

1 that I am not really sure of where it comes from
2 either. He has a number of things where there's not
3 one specific source where it comes from. Therefore
4 it is not clear to me how he comes up with his
5 estimate.

6 And I think we could to slide 29. And all I
7 did on this slide is to take the two... all of the
8 next slides have the same format. They have doctor
9 Booth's testimony page 85, it has two left columns,
10 the low and the high. So it's all doctor Booth's
11 risk-free rates, his adjustment for Bond Buying and
12 then, the 0.5 to 0.55 is his beta, his market risk
13 premium and then his flotation costs adjustment.
14 And for simplicity, in all of the following slides,
15 I just took the average of his market risk premium,
16 to not have two columns. And then, all I'm working
17 with here is the beta.

18 Assume doctor Booth had used his estimated
19 Canadian sample beta 0.74. What would he get? 8.56.
20 It increases his results, his recommendation for
21 beta from 7.5 to 8.5 or 8.6. So that's simple
22 change would change his estimate dramatically.

23 Next slide. Assume the Blume adjusted that
24 beta estimate doctor Booth comes up with, so that
25 we take into account that a Blume's adjustment

1 provides a better prediction. That gives us a beta
2 of 0.83. And the estimate becomes 9.05. So, again,
3 that will move it up a little bit. Let's look at
4 slide, next slide, slide 31.

5 Now, let's take Booth's beta of the point
6 seventy-four (0.74) and do the Hamada adjustment,
7 unlever it and then we relever, so it becomes
8 consistent with a forty-three percent (43%) equity,
9 and it becomes point eight five (0.85) and his
10 result is nine point one seven (9.17). So, we can
11 see that it's all moving his numbers up in
12 something that's over nine, pretty much.

13 The last slide I have on this is on slide
14 32, where I looked at Booth's US sample beta and
15 then I did a Blume adjustment to that beta to see
16 what would that result in. His beta becomes point
17 nine (0.9), and now his result is nine point five
18 (9.5). So, even these small changes to his beta
19 estimate result in estimates that are quite a bit
20 higher, so that's where I really have the main
21 problem with Dr. Booth's estimates. He does not go
22 out and take a sample and estimate his betas and
23 then say : « This is what we should use. » So, that
24 would be my recommendation that we should look at
25 these issues.

1 The last segment of my presentation is
2 really looking at the cost of equity estimates and
3 recommendations, and also the capital structure
4 recommendations. And I want to do that fairly
5 quickly, so we don't have too much time, but I do
6 want to show you what the results are and talk
7 about a couple of things that has been criticized.
8 And again I'll talk only about the Canadian sample
9 and the US gas sample, not about the water sample.

10 The first here shows my numbers at the time
11 of filing for the Canadian sample and the natural
12 gas sample. I show first the capital asset pricing
13 and ECAPM based numbers and then the DCF based
14 results. And I will only focus on the Hamada
15 adjustments because as I said, I don't want to look
16 to the DCF models. And one of the things you can
17 see regardless of where I look on this table, ten
18 percent (10%) is in between these two ROEs with the
19 higher and the lower numbers, that's what we found.

20 I also want to point to that Dr. Booth
21 criticized the use of the empirical capital asset
22 pricing model as being a way of upward adjusting
23 the results. What we actually can see on this table
24 here is it actually slightly downward adjust the
25 results depending on where you look. So, it's about

1 point one (0.1) lower than what you actually see,
2 and that's the ones in the boxes, there are about
3 point one (0.1) to a little bit more than that to
4 point four (0.4) below the number that's right
5 above this, which means it has a slight downward
6 adjustment.

7 So, what does that mean? Well, my
8 reasonable range before any kind of adjustment is
9 nine and a quarter (9.25) to ten (10.00) and seven
10 five (7.5). So, basically ten percent (10%) is
11 right in the middle of there. That's my reasonable
12 ranges. Dr. Brown says that Utilities in Quebec are
13 slightly riskier than my US gas LDCs.

14 I have a little bit of an issue here in
15 terms of actually placing them, because as you can
16 see at the time of my estimation the capital asset
17 pricing model was slightly lower for my Canadian
18 sample than for my US sample, and so what I decided
19 to do here is to actually not go to the upper half
20 of the natural gas sample simply because I wanted
21 to take into account that maybe there is something
22 Canadian specific, so it became more like the
23 middle. I wanted to make sure I was inside that ten
24 point five (10.5) I see from the Canadian sample as
25 my recommendation. So, ten percent (10%) is in all

1 of these boxes, and they are therefore a reasonable
2 recommendation.

3 In terms of equity, now this here was based
4 on data as of last summer and we filed in November.
5 So, a lot has happened in the world since then,
6 it's a very different world. So, I thought it would
7 be prudent to update the estimates, and especially
8 to do so to make sure that I was not over
9 estimating the cost of equity, that there was
10 nothing that indicated that I should change my
11 recommendation.

12 In terms of just what has happened is that
13 forecasted interest rates as well as actual
14 interest rates have increased by almost over one
15 percent (1%), a hundred and ten (110) basis points.
16 Inflation has risen dramatically and the historical
17 market risk premium, one of my measures, have
18 increased, whereas actually forward looking market
19 risk premium has declined, which I'm not overly
20 surprised about, I'm surprised about the level of
21 the decline, but I did expect it to decline given
22 interest rates were increasing, but it declined by
23 more than that, so that's a little surprising. I
24 also checked the betas to see that there's nothing
25 there. The average of my samples remain the same

1 even if I actually changed the samples slightly.

2 In terms of the discounted cash flow
3 models, both weights for the Canadian utilities
4 declined slightly, but they actually increased for
5 the US gas LDC sample.

6 So overall, what actually happens here, and
7 that's mostly driven by the fact that the growth
8 rates moved the way they did and then the
9 difference between their historical and their
10 forecast MRP narrowed, so all my results narrowed
11 the range, that's what happened essentially.

12 So, if can go to the next slide, I will
13 show you the reasonable ranges. So, here what I
14 have, over on the right hand side, is my reasonable
15 ranges at forty-three percent (43%) equity as of
16 filing, and on the left hand side is my model as of
17 May thirty-first (31st), which is the most recent I
18 could update to.

19 And what you can see is my ranges are much
20 narrower than what they were. The upper end came
21 down on average, the lower end came up, so I
22 narrowed my range. And what I see here is that,
23 well, ten percent (10%) is inside the range still
24 of everything except for the Canadian sample
25 CAPM/ECAPM. On the other hand, ten percent (10%) is

1 below the DCF model for the Canadian sample now.
2 So, based on this and based on Dr. Brown's
3 testimony that the natural gas sample is the best
4 comparable, ten percent (10%) remains a valid
5 number, there's no reason to change our
6 recommendation. So, it's still supported by numbers
7 and I thought that was important given the changes
8 in the economy.

9 The last thing I want to talk about is how
10 did I come up with a forty-three percent (43%). And
11 as I said early on, there's not one capital
12 structure that's perfect, there's no optimal
13 capital structure, there's reasonable capital
14 structures. One of the things that put a limit on
15 what is a reasonable capital structure is credit
16 ratings. If you want the utilities to have a solid
17 credit rating, say a A-rating, you need to be able
18 to satisfy the benchmarks credit rating agencies
19 have for such utilities.

20 And I listed here on this slide some of the
21 key things DBRS, the Canadian credit rating agency,
22 Moody's, a US credit rating agency, and S&P, again
23 a US credit rating agency look through. So, they
24 have on the left hand side here in my table is
25 their benchmarks. It all consist of rating gigs. So

1 far the earnings before interests and taxes
2 coverage that is how many times can you cover
3 interests. DBRS says it has to be between one point
4 eight (1.8) and two point five (2.5).

5 Q. **[191]** You said two point five (2.5), I think I have
6 two point eight (2.8) on the slide?

7 R. Two point eight (2.8), that should be two point
8 eight (2.8). I can't read it it's too small.

9 And the other benchmark they use,
10 especially Moody's like that, funds from
11 operations, how many times can debt cover
12 interests, it's a slightly different measure. You
13 measure it because you actually add back
14 depreciation to that, so its funds from operations
15 measure, they say four point five to six (4.5 to
16 6), and all of the credit rating agencies look to
17 funds from operations to debt, how many times can
18 you actually have debt covering or how many... what
19 is that in percentage of the debt is how they
20 usually measure that. And as you can see, it's...
21 they're not exactly the same, so DBRS is a little
22 bit more lenient than the others, so that probably
23 reflects the Canadian market.

24 And the other thing I looked at : what do
25 actually A-rated Canadian and US utilities look

1 like in terms of these measures, go out and look at
2 what do Canadian utilities according to DBRS on
3 average have according to these measures, and
4 that's what I listed on the right hand side. That's
5 another important consideration. How do we make
6 these utilities look like the rest of the world.

7 And interestingly enough you will see that
8 none of these had anything near the lower bond of
9 these measures, there's nothing near there, and I
10 also think it's important to not be at the very low
11 end, but be somewhere in the middle of these
12 ranges. So, that's what we're looking to, and how
13 do we do that, well that's where the data I said I
14 got from the utilities come into play. I got all
15 this data on depreciation rates, what do you have
16 in terms actually of the interest you are paying,
17 and then we built a model where you have an
18 hypothetical a thousand dollars (1 000\$) rate base,
19 and then we say : « Well, if you have 10% return on
20 equity in each of the utility specific and better
21 cost of debt, each of the utilities specific
22 depreciation rates, each of the utilities
23 construction work in progress in proportion to
24 their asset base, and look at what would that
25 actually mean for all of these ratio here. » And

1 then we calculated it at various cost of equity,
2 estimates and at various, and see what capital
3 structure do we need to get something meaningful.
4 And that's what is on the next page.

5 And here, on the last -- can I have the
6 next page? And here what I'm showing, I'm showing
7 it at a ten percent (10%) ROE. When we actually did
8 that, we did for a whole slew of different reasons,
9 and then looked at what capital structure we would
10 look at. I also look, not at every capital
11 structure, but start at thirty-five (35%) and move
12 up to fifty-five (55), which is sort of what I say
13 a reasonable range.

14 And then, what I highlighted in green is
15 where do we get through something that's meaningful
16 on all of these measures, and it turns out that
17 Énergir is the easy utility on the block.

18 Q. [192] What do you mean by you say "what do we...
19 what we see... where we get something meaningful",
20 what do you mean by "meaningful"?

21 R. Whether we get a EBIT coverage ratio, that's at ten
22 percent (10%) ROE fulfills the credit rating
23 agencies criteria for where it should be. Say...
24 and you have a look at two point five (2.5). So, if
25 EBIT should be at two point five (2.5), we can

1 fulfill that at thirty-five percent (35%) equity
2 and ten percent (10%) ROE for Énergir. We can not
3 do that for Intragaz. We can again do that for
4 Gazifère. That's what we see.

5 We do the same thing for the funds from
6 operations to coverage ratio where we would get to
7 a combination of equity percentage and ten percent
8 (10%) ROE, that actually meets that definite
9 benchmark. So, that's what I mean. So, you want a
10 whole lot of numbers and simulate where would you
11 get something that fulfills all of these three key
12 credit metrics for the utilities, using their
13 depreciation rates, their embedded cost of debt and
14 their construction work in progress numbers.

15 So, if we look at that, Énergir gets all of
16 the three metrics inside the range of what the
17 credit rating agencies want at forty-two point five
18 percent (42.5%) equity. So, forty-three percent
19 (43%) as we found also by taking sixty percent
20 (60%) of the preferred and allocating it to equity,
21 and forty percent (40%) to debt, again we see the
22 same number forty-three percent (43%) is a
23 reasonable number to fulfill all of these.

24 Again, we could move them up to... if we,
25 for example, would use the ROE, we would need to

1 move the equity percentage up to meet those credit
2 metrics. And we do the same exercise for Intragaz
3 with their numbers, same exercise for Gazifère. And
4 that's where it becomes a little bit more tricky
5 because, for example, Intragaz never really gets to
6 fifteen (15%) FFO to debt at this range here.
7 However, because Dr. Brown testifies it has the
8 same business risk, it seems reasonable to have
9 them at the same capital structure.

10 And lastly we look at Gazifère, Gazifère is
11 the riskiest of the three utilities according to
12 doctor Brown and the Régie's prior findings. We
13 also see it here it needs to move quite up on the
14 scale to actually meet its credit metrics.
15 Especially on the FFO to debt.

16 So if we were to follow this scheme here we
17 would give them fifty-two point five percent
18 (52.5%) equity and that's where some judgement came
19 into play because I think fifty-two point five
20 (52.5) might be find but it is a very big change in
21 what we are currently seeing, so I thought it would
22 be meaningful to move them higher than the other
23 two utilities toward that range but in Canada
24 fifty-two point five (52.5) would be high, it would
25 not be in the US, so forty-five percent (45%) was a

1 reasonable compromise between the forty-three
2 percent (43%) for the other two utilities and the
3 fifty-two point five (52.5) that is needed here.

4 So that's how I came up with these numbers
5 and I will end my presentation here.

6 Q. [193] I have one more question at least for you Dr.
7 Villadsen, if madame la greffière, can put on the
8 screen exhibit B-0131, donc B-0131, so I understand
9 you don't read French, which was not the case for
10 Dr. Brown, so I'll maybe just translate what we see
11 here. Can we maybe make it a little bit bigger. I'm
12 suggesting that Dr. Villadsen cannot read it but I
13 certainly cannot.

14 So to the left we have, the first column is
15 the year, the second column is rate and at the top
16 just behind Énergir you have authorized, autorisé,
17 and realized, réalisé. So what this is, is what was
18 Énergir authorized rate of return for a specific
19 year versus what they achieved in term of return
20 for that specific year. And you have the same
21 information for Intragaz and Gazifère on this
22 chart.

23 My question to you is: in your opinion what
24 is the relevance of these returns for the purpose
25 of this hearing?

1 R. For the purpose of determining the cost of equity,
2 it's not relevant. For the reason that what
3 investors care about, is what total return do they
4 get in the market place. That's not represented by
5 this realized accounting return, and remember this
6 an accounting return, so they care about what do
7 they actually get from both earnings in the company
8 and for capital appreciation, all of that matters
9 to investors. This here is historic accounting
10 information and therefore not relevant for my
11 purpose of determining the cost of equity.

12 Q. [194] When you say "accounting", accounting as
13 oppose to what?

14 R. Accounting as oppose to market returns.

15 Q. [195] So, Mister President, if you could allow me
16 just a few minutes to consult my colleagues to see
17 if we have other questions for Dr. Villadsen?

18 LE PRÉSIDENT :

19 Oui, sans problème.

20 Me PATRICK OUELLET :

21 Merci.

22 PAUSE

23 Me PATRICK OUELLET :

24 Q. [196] I have one more question.

25 R. Yes.

1 Q. **[197]** Can you explain, please, to the Régie your
2 understanding of the purpose and the significance
3 of the standalone principle?

4 R. If I understand it, the standalone principle says
5 that a regulated entity needs to be regulated on
6 its own merits and it's irrelevant who owns it or
7 what entity it's a part of. It's a principle that
8 comes up, for example, Principles of Regulatory
9 Economics of Alfred Kuhn's book, it dates back to
10 the seventies. It's also a principle I understand
11 that was here recognized in the past.

12 Q. **[198]** And do you agree with that principle and if
13 so, why?

14 R. I agree with that principle because we are not
15 trying to regulate any of the assets that are not
16 subject to the Quebec regulation. We're only trying
17 to regulate the gas distribution assets and the
18 Intragaz storage facilities. We are not trying to
19 regulate anything else that might be under the same
20 umbrella.

21 Q. **[199]** Those were my questions. Alors je n'ai plus
22 de questions pour le docteur Villadsen.

23 LE PRÉSIDENT :

24 Merci beaucoup alors on va passer au contre-
25 interrogatoire des intervenants.

1 Me PAULE HAMELIN :

2 Si vous me permettez Monsieur le Président, peut-
3 être juste quelques remarques introductives and I
4 can do it in English for the purpose of doctor
5 Villadsen.

6 First, we were provided of course with the
7 presentation of doctor Villadsen just maybe, like
8 thirty (30) minutes or one hour before she
9 testified so, of course I haven't had the chance of
10 reviewing it with my own expert (coupure Internet).

11 Le STÉNOGRAPHE :

12 Je présume que ça a coupé pour tout le monde?

13 Me PAULE HAMELIN :

14 Oui.

15 LE PRÉSIDENT :

16 Ça arrive quand ça dure trop longtemps, l'audience.

17 Me ÉRIC McDEVITT DAVID :

18 Effectivement, ça a été la même chose de notre
19 côté. On est de retour.

20 Me PAULE HAMELIN :

21 So the comment I was making is that we received the
22 presentation of doctor Villadsen just a few, if
23 possible I would say an hour...

24 LE PRÉSIDENT :

25 ... est-ce que vous m'entendez?

1 Me PAULE HAMELIN :

2 Oui, je vous entends.

3 LE PRÉSIDENT :

4 Ah. Parce qu'on a perdu l'image, on a un problème
5 technique ici qu'on est en train de tenter de
6 résoudre.

7 Me ÉRIC McDEVITT DAVID :

8 Si vous permettez, Maître Hamelin, c'est parce
9 qu'il y a beaucoup de gens qui ne sont pas encore
10 reconnectés.

11 Me PAULE HAMELIN :

12 Ah, je vais attendre.

13 Me ÉRIC McDEVITT DAVID :

14 Dont le docteur Booth. Ça fait que je suggère que
15 vous patientez encore un peu.

16 LE PRÉSIDENT :

17 Bon. Alors, on vous voit maintenant. Est-ce qu'on a
18 tout le monde en ligne?

19 Me PAULE HAMELIN :

20 Est-ce qu'on peut vérifier de notre côté? Il semble
21 que oui.

22 LE PRÉSIDENT :

23 Maître David, vous vous inquiétiez pour docteur
24 Booth, est-ce que...

25

1 Me ÉRIC McDEVITT DAVID :

2 Je le vois dans la liste des participants. Donc, je
3 présume que...

4 LE PRÉSIDENT :

5 Parfait.

6 Me ÉRIC McDEVITT DAVID :

7 ... qu'il est là. Attendez! Je le voyais mais... Je
8 pense qu'il est là.

9 Me PAULE HAMELIN :

10 On me dit qu'il est là.

11 LE PRÉSIDENT :

12 Très bien. Alors on peut poursuivre.

13 Me PAULE HAMELIN :

14 Alors, Monsieur le Président, comme je vous disais,
15 j'avais certaines remarques préliminaires à faire.
16 Je disais que la présentation du docteur Villadsen
17 nous a été transmise quelque temps avant qu'elle
18 témoigne. Depuis le début du dossier, on essaie d'y
19 aller rondement. Et, généralement, comme vous le
20 savez, les présentations, d'habitude, on les a à
21 peu près vingt-quatre (24) heures d'avance à la
22 Régie. Dans un contexte aussi important que ce
23 dossier-ci, naturellement une demi-heure avant la
24 présentation, c'est très court, surtout quand ça
25 relève de l'expertise, d'une part.

1 D'autre part, il y a des données récentes.
2 On a mis à jour... Docteure Villadsen a mis à jour
3 son rapport. Donc, c'est des informations nouvelles
4 que je vais devoir valider. Et il y a également,
5 bon, tout l'aspect de référence à l'expertise du
6 docteur Booth.

7 Alors ce que je vais vous proposer, c'est
8 la chose suivante. C'est que je vais commencer avec
9 certaines lignes de questions et je vais demander
10 l'indulgence de la Régie pour que je puisse avoir
11 le temps nécessaire pour qu'on puisse assimiler,
12 d'une part, les nouvelles informations, que je
13 puisse parler avec notre expert au niveau de la
14 direction que prendra le contre-interrogatoire.
15 Alors, c'est la suggestion que je vous fais pour
16 qu'on puisse avoir un temps raisonnable. Et je vais
17 m'assurer que ça ne change pas et ça ne bousille
18 pas l'horaire. Je vois qu'il est quand même déjà
19 deux heures (2 h). Donc, je vais essayer d'avancer
20 dans certaines de mes questions. Mais j'aimerais
21 être en mesure de pouvoir naturellement avoir le
22 temps nécessaire pour parler à notre expert.

23 LE PRÉSIDENT :

24 Oui. Ça va.

25

1 Me PAULE HAMELIN :

2 Et je voulais juste aussi, dernier point, je vais
3 transmettre sur le SDÉ, on sait qu'il y a une
4 question de confidentialité, on en parlera ou
5 j'allais dire, on en parlera, mais on vous l'écrira
6 dans le cadre des plaidoiries les questions de
7 confidentialité dans le cadre du dossier. Ce que
8 l'on a fait, c'est qu'on a pris un des... On va
9 parler tout à l'heure du Blume adjustment. On a
10 pris un exemple et on a caviardé l'information.
11 Alors, juste pour que mes collègues le sachent. On
12 n'a pas... On va déposer un document qui est comme
13 un exemple de Blume adjustment. Ça va être juste
14 pour les fins de mon contre-interrogatoire avec la
15 docteure Villadsen.

16 Ceci étant fait comme remarques, je vais
17 maintenant débiter.

18 Me PATRICK OUELLET :

19 Si vous me permettez, Maître Hamelin, juste... Je
20 vais passer la parole à maître Cloutier. Il y a un
21 aspect de confidentialité, je pense qu'on veut
22 porter à l'attention de tout le monde, pour le
23 bénéfice de tous.

24 Me MARIE-PIER CLOUTIER :

25 Oui, exact. Ce matin avec la présentation...

1 Me PAULE HAMELIN :

2 Je ne vous entends plus.

3 DISCUSSION HORS DOSSIER - PROBLÈME TECHNIQUE

4 Me MARIE-PIER CLOUTIER :

5 Je serai brève. Tout simplement pour vous
6 mentionner qu'avec la présentation de la docteure
7 Villadsen ont été transmis deux documents PDF qui
8 correspondent à certaines données qui, finalement,
9 pourront être au dossier public du tribunal.
10 C'était des données qui étaient contenues dans les
11 annexes BV-6 et BV-12 au soutien du Direct
12 Testimony de la docteure Villadsen. Ces deux
13 annexes-là avaient été déposées complètement de
14 manière confidentielle en novembre dernier. Suivant
15 les révisions de la docteure Villadsen en
16 préparation de son interrogatoire, elle a réalisé
17 que certaines choses pouvaient être libérées au
18 dossier public de la cour. Donc, c'est ce qu'on
19 vous a fourni. Donc, ce n'est pas des nouvelles
20 données au dossier, mais c'est juste que certaines
21 pouvaient être libérées de manière publique. Donc
22 ce qu'on a fait.

23 LE PRÉSIDENT :

24 Merci. Alors, Maître Hamelin, on va faire un petit
25 bout peut-être jusqu'à quatorze heures trente

1 (14 h 30), puis on prendra une petite pause à ce
2 moment-là.

3 Me ADINA GEORGESCU :

4 Maître Hamelin, on ne vous entend pas?

5 CROSS-EXAMINED BY Me PAULE HAMELIN :

6 Q. **[200]** Hi, Dr. Villadsen, my name is Paule Hamelin,
7 I represent IGUA. Good afternoon. Just so... a few
8 questions with respect to the guiding principles in
9 this... in this matter. In your direct testimony,
10 your report B-0015, at page 10, you refer to the
11 criteria used by the Régie in the decision
12 D-2009-156 to determine a fair return.

13 R. Yes.

14 Q. **[201]** Okay. So, I understand that in fact what you
15 are doing is that you're referring to paragraph 173
16 of the decision D-2009-156 stating the three
17 criteria, which are : comparable requirement,
18 capital attraction requirement and financial
19 integrity requirement. Correct?

20 R. That's correct.

21 Q. **[202]** And just so I understand correctly, the first
22 bullet in your report would be referring to the
23 comparable investment criteria?

24 R. That's correct. Yes.

25 Q. **[203]** Okay. The second one was... would be the

1 financial integrity requirement?

2 R. That's correct. Yes.

3 Q. **[204]** And the third bullet, the capital attraction
4 requirement?

5 R. That's correct. Yes.

6 Q. **[205]** I don't know if it's already on... on the
7 Régie site, but... Not yet? We have sent a... what
8 we have as an official, an unofficial translation
9 of the decision from the Régie, the D-2009-156.
10 First of all, were you provided with the decision
11 or any translation of that decision?

12 R. I looked at the decision, yes, and I've seen
13 translated part of that, yes.

14 Q. **[206]** Okay.

15 R. I got unofficial.

16 Q. **[207]** So, I do not know if my unofficial
17 translation is the same as yours, so maybe we can
18 try to move on. If it's not the same, I would like
19 to have, as an undertaking, the copy, your
20 translated version of the decision D-2009-156.

21 Me PATRICK OUELLET :

22 So, can we first see if we agree on your
23 translation and then we'll see if we take the
24 undertaking?

25

1 Me PAULE HAMELIN :

2 Okay. So, I'll move on with my questions and
3 perhaps I'll read the... what I have as the English
4 translation and we'll see. Yes?

5 Me PATRICK OUELLET :

6 Is it possible to send us your translation...

7 Me PAULE HAMELIN :

8 Oui.

9 Me PATRICK OUELLET :

10 ... so we can follow and I'll just forward it to
11 Dr. Villadsen as soon as I receive it by email, it
12 should take just a matter of seconds. It would make
13 it easier for us to follow.

14 Me PAULE HAMELIN :

15 Of course. And I'm... apologies to the Régie, I can
16 send it to the greffe as well, but I think it
17 should be filed soon. Just a second, it's just that
18 my... my analyst does not have your email address
19 in my computer...

20 Me PATRICK OUELLET :

21 Je vais vous envoyer un courriel tout de suite,
22 Maître Hamelin, comme ça vous allez l'avoir, là, ça
23 va être ça qui a être le plus facile.

24 Me ADINA GEORGESCU :

25 Maître Hamelin, je pense que vous avez le mien,

1 donc vous pouvez me l'envoyer à moi, puis je vais
2 le faire circuler.

3 Me PAULE HAMELIN :

4 Oui, sauf que je n'ai pas mon... mon ordi à côté de
5 moi, là.

6 Me PATRICK OUELLET :

7 Okay. So, I'm advised that Dr. Villadsen has
8 received what was available on the Régie website.

9 Me PAULE HAMELIN :

10 Okay.

11 Me PATRICK OUELLET :

12 So, if you... Do you have that accessible in front
13 of you, Dr. Villadsen?

14 R. No. I don't.

15 Me PATRICK OUELLET :

16 Okay.

17 Me ADINA GEORGESCU :

18 I'm sorry to interject again. Would it be possible
19 to maybe, Madame la Greffière, to post the exhibit
20 so for everyone to see, if it's available on the
21 Régie's website than it must be available to put
22 up.

23 Me PAULE HAMELIN :

24 Tu peux-tu me sortir la page? Est-ce qu'on...
25 est-ce qu'on a le document? D'accord, merci.

1 Me LISE DUQUETTE :

2 Maître Hamelin, la page...

3 Me PAULE HAMELIN :

4 Oui.

5 Me LISE DUQUETTE :

6 La page 45?

7 Me PAULE HAMELIN :

8 C'est du PDF, donnez-moi deux minutes. C'était le
9 paragraphe 173.

10 Me LISE DUQUETTE :

11 Donc, c'est la D-2009-156, paragraphe?

12 Me PAULE HAMELIN :

13 Paragraphe 173.

14 Me LISE DUQUETTE :

15 Merci.

16 Me PAULE HAMELIN :

17 Mais ce n'est pas la version traduite que j'ai
18 transmise, mais...O.K. Bien, je peux y aller
19 avec...

20 Q. **[208]** I can go on with this, I'll read you what I
21 have as a translation for each of the... of the
22 criteria and Dr. Villadsen you can indicate to me
23 if you consider that it's comparable. First of all,
24 in the... in the translation that I have with
25 respect to the first criteria, with respect to

1 comparable investment requirement, the Régie
2 essentially indicates that it must be comparable to
3 the return available from the application of the
4 invested capital to the other enterprises of like
5 risk. So...

6 R. That sounds... that sounds familiar, yes.

7 Q. **[209]** Okay. With respect to the financial integrity
8 requirement, would you agree with the Régie's
9 description as "enable the financial integrity of
10 the regulated enterprise to be maintained", so this
11 is the financial integrity requirement?

12 R. Yes.

13 Q. **[210]** For the third requirement, the same question,
14 I have as per a translation that the capital
15 attraction requirement "must permit incremental
16 capital to be attracted to the enterprise on
17 reasonable terms and conditions"?

18 R. I don't recall if that's what I read in the
19 translation, but I will take that subject to check.

20 Q. **[211]** Okay. Is it your understanding that in this
21 decision, the Régie has essentially stated that
22 these three criteria have historically been
23 recognize by regulatory agencies and of course as a
24 basis for the determination of the fair return
25 standard?

1 R. Yes.

2 Q. **[212]** And you agree that the Régie decided that
3 these three criteria enjoy consensus support and
4 should be guiding the Régie in his jurisdiction to
5 determine a reasonable rate of return?

6 R. Yes.

7 Q. **[213]** I now refer you to your report. Merci, Madame
8 la Greffière. At page 11, line 3.

9 R. Yes.

10 Q. **[214]** You indicate that:

11 The third component of the fair return
12 standard requires that the allowed
13 return be sufficient to maintain the
14 company's financial integrity such
15 that it's operations are not hampered
16 by inadequate cash flows.

17 Can you explain what you mean by that?

18 R. So, by that I mean that it should be sufficient
19 that it can attract capital, and it is sufficient
20 that it can continue its operations. That's my
21 economist understanding of what these criteria
22 mean.

23 Q. **[215]** And to your knowledge, are you aware of any
24 decisions where, for this third requirement,
25 regulators would have taken into account that a

1 company's operations must not be hampered by
2 inadequate cash flows, this expression that you
3 used?

4 R. That is my terminology and not that of the
5 decision.

6 Q. **[216]** Thank you. So, let's turn to the applicable
7 methodologies. You have indicated in your report
8 and also in your presentation today that there are
9 multiple methodologies to estimate the cost of
10 capital and that you find it reasonable to use more
11 than one methodology in the estimation process.

12 Sorry, Madame la Greffière. I will refer
13 again to the... to the Régie's decision. I don't
14 know if we have received the translation version or
15 not.

16 LE PRÉSIDENT :

17 ACIG-0077.

18 Me PAULE HAMELIN :

19 Parfait. So, for reference purposes I'm referring
20 to the decision D-2009-156. It's at paragraph 238
21 and following. We can put it on the screen if...

22 Me LISE DUQUETTE :

23 Ce ne sera pas long, Maître Hamelin, on...

24 Me PAULE HAMELIN :

25 Parfait.

1 Me LISE DUQUETTE :

2 ... on va le chercher.

3 Me PAULE HAMELIN :

4 Merci.

5 Me LISE DUQUETTE :

6 C-ACIG-0076.

7 Me PAULE HAMELIN :

8 C-ACIG-00... on m'a dit 77, mais je ne sais pas...

9 LE PRÉSIDENT :

10 Je pense que c'est 76.

11 Me PAULE HAMELIN :

12 Parfait. Alors, C-ACIG-0076.

13 Me LISE DUQUETTE :

14 Quelle page, Maître Hamelin?

15 Me PAULE HAMELIN :

16 Alors, c'est au... j'irais au paragraphe 238.

17 Me LISE DUQUETTE :

18 Merci. 17, page 17.

19 Me PAULE HAMELIN :

20 Q. **[217]** So, I want to draw your attention to
21 paragraph 238 indicating that :

22 The Régie has decided to rely
23 primarily on the Capital Asset Pricing
24 Method in reaching its decision and
25 the fact that this is the method the

1 Régie has applied in previous
2 decisions and in the most widely...
3 and it is the most widely used
4 approach in Canada.

5 Do you agree, based on these extracts, and I'll
6 refer you just before I ask you the question, if
7 you have had the time to... to read it. I would
8 then turn to paragraph 289, but I will wait until
9 your indication that you find it, so I can move on.

10 R. I have read it, yes.

11 Q. **[218]** Okay. So, let's go to paragraph 289.

12 Me PATRICK OUELLET :

13 I'm sorry, was there... I don't, I don't think
14 there was a... was there a question on 238?

15 Me PAULE HAMELIN :

16 It will come after my, my next paragraph.

17 Q. **[219]** So, in, in... I refer you to paragraph 289
18 where the Régie indicates that:

19 In its view the CAPM remains the most
20 appropriate base model to guide the
21 determination of a reasonable rate of
22 return.

23 So base on paragraphs 238 and 289, would you agree
24 with me that as for these abstracts the Régie in
25 this decision, and of course the previous

1 decisions, as it is stated, as primarily applied
2 the CAPM method?

3 R. I will agree with you that in two thousand and nine
4 (2009) the Régie decided to rely primarily on the
5 CAPM pricing model. It's also true that that is
6 more than ten (10) years ago and Canadian
7 Regulation has changed since then. For example, the
8 British-Columbia Utilities Commission has applied
9 both DCF and the Capital Asset Pricing Model has as
10 Alberta Utilities Commission.

11 Q. **[220]** What was the first one you mentioned.

12 R. British-Columbia Utilities Commission and Alberta
13 Utilities Commission. As for others, I don't know.

14 Q. **[221]** And that was being applied... which methods?
15 The CAPM and DCF?

16 R. The CAPM and the DCF, yes.

17 Q. **[222]** O.K. After the Régie's finding in two
18 thousand and nine (2009), is it to your knowledge
19 that the Régie has also relied primarily on the
20 CAPM method in two thousand eleven (2011)?

21 R. I believe the Régie primarily relied on that too.
22 If I may, I believe that the Régie at all time
23 should be presented with the best evidence the
24 experts have to offer and then make a decision from
25 there.

1 Q. **[223]** I understand your point. But my question is
2 that: is it to your knowledge that in two thousand
3 and nine (2009) the Régie relied still on the CAPM
4 method as a primarily method?

5 R. The Régie relied primarily on the CAPM method, yes.

6 Q. **[224]** Okay. And I'm referring to, if I'm telling
7 you it's decision D2011-182 is it something that,
8 that you are familiar with?

9 R. I do not recall. I probably have seen it at some
10 point in time.

11 Q. **[225]** Just for the reference purposes and for, for
12 the stenographic notes, I refer to paragraph 205 of
13 that decision and paragraph 242 of that decision.

14 Me PATRICK OUELLET :

15 If I may, Maître Hamelin, instead of just giving
16 the number two thousand eleven, hyphen something,
17 maybe you could tell her what the topic of the
18 decision was? Maybe it would help her recall if she
19 has seen it or not? Cause I personally don't
20 remember by heart all the two thousand eleven
21 (2011) something.

22 Me PAULE HAMELIN :

23 Q. **[226]** Okay. It's a rate of return decision
24 pertaining to Énergir.

25 R. I believe I've seen that decision, yes.

1 Q. **[227]** Okay.

2 R. But I don't remember the details.

3 Q. **[228]** Okay. Would you know if, for instance,
4 Intragaz in previous decisions well, for Intragaz
5 in previous decisions, the Régie has also relied
6 primarily on the CAPM method?

7 R. It's my understanding that the Régie has relied
8 primarily on the CAPM in all of its prior
9 decisions, yes.

10 Q. **[229]** And just as a reference, for information,
11 this Intragaz decision is dated in twenty thirteen
12 (2013). So, is it to your knowledge that the Régie
13 has also given great weight to the CAPM method in
14 other rate of returns pertaining let's say to the
15 electricity HQD, HQT rate of return cases in twenty
16 fourteen (2014)?

17 R. I do not know.

18 Q. **[230]** Okay. Let's talk a little bit about DCF based
19 estimates as DCF is one method that you use. For
20 the DCF... Je vois qu'il est quand même deux heures
21 trente (2 h 30) aussi... Monsieur le Président je
22 peux continuer...

23 LE PRÉSIDENT :

24 Est-ce que votre ligne de questions est longue
25 ou... combien de temps vous pensez en avoir?

1 Me PAULE HAMELIN :

2 Bien, j'en ai sûrement pour une demi-heure avec
3 cette ligne de questions-là.

4 LE PRÉSIDENT :

5 Alors on va prendre une pause tout de suite pour
6 quinze (15) minutes.

7 Me PAULE HAMELIN :

8 Parfait.

9 LE PRÉSIDENT :

10 Merci. Alors on se revoit à quatorze heures
11 quarante-cinq (14 h 45).

12 SUSPENSION DE L'AUDIENCE

13

14 REPRISE DE L'AUDIENCE

15 LE PRÉSIDENT :

16 Alors, nous allons poursuivre avec les questions de
17 maître Hamelin.

18 Me PAULE HAMELIN :

19 Q. **[231]** So, just before the break, I was indicating
20 that I would want to ask you some questions
21 pertaining to the DCF method. You described in your
22 report the DCF method and just to put in context
23 and I am just reading essentially, paraphrasing
24 what you're saying in your report, that the first
25 step of your analysis is to examine a sample of

1 investment analysts's forecasted earnings growth
2 rate for companies in your samples. So, I just
3 referred to the -- so everybody knows that we are
4 going to talk about investment analysts's
5 forecasted earnings growth.

6 I understand that for both of the DCF
7 method, either the single-stage or the multi-stage,
8 you have used analyst forecasts of companies
9 specific growth rates that was sourced by either
10 Value Line and Thomson Reuters, IBES, I don't know
11 if it's the way to pronounce it. Is it fair to say
12 that the forecast comes... comes from security
13 analyst that followed the stock?

14 R. The IBES growth forecast comes from security
15 analysts, the Value Line forecast comes from Value
16 Line staff.

17 Q. **[232]** Okay. So, Value Line from their staff and the
18 IBES from security analysts?

19 R. Yes.

20 Q. **[233]** Okay. Have you checked how many analysts
21 actually cover these stocks versus the number of
22 analysts that provide growth forecasts?

23 R. No. I have checked how many analysts provided a
24 forecast, I responded to that in a data request.

25 Q. **[234]** And would you agree with me that, let's say

1 in terms of ratio, if I was going to say that
2 probably thirty (30) analysts would generally cover
3 the stocks while there would be, let's say, two or
4 three analysts that would provide the forecast?
5 Would that be a fair ratio?

6 R. I don't know. It sounds high because the entities
7 we're talking about are utilities and they tend to
8 on average, at least the US gas LDC sample are
9 probably smaller than the average company in the
10 index, let's say, TSX.

11 Q. **[235]** Okay. But in terms of the security analysts
12 to say that there would be a few would be... would
13 be correct?

14 R. There would be a few analysts forecast rates
15 company. I think that data response I responded to
16 is everywhere between two and, I think, six for the
17 most... it's the most we have for any company.

18 Q. **[236]** And I understand that most of the companies
19 in the Canadian utility sample are not covered by
20 Value Line and that's why you have relied on IBES
21 growth rates for these companies, correct?

22 R. That is correct. Most of them are not follow, some
23 of them are, not all.

24 Q. **[237]** Okay. And IBES is an American company?

25 R. It is.

1 Q. **[238]** You know if their analysts are based in the
2 US essentially?

3 R. The IBES forecast, they don't provide forecast,
4 they collect forecast from equity analysts and they
5 collect forecast including from Canadian analysts.
6 HBIS, for example, I see comes up in them. Bank of
7 Montreal comes up on some of them.

8 Q. **[239]** Okay. I would like you to go to your Exhibit
9 BV-4.5 and... Madame la Greffière, c'est dans les
10 annexes au rapport. So, it's a schedule to... to
11 Dr. Villadsen's report, which is Exhibit B-0015,
12 but the schedule starts -- it's a little bit
13 difficult or confusing -- it's BV-4... BV-3, but
14 then you go to the schedule BV-4.5, and it's at
15 page 4 of BV-3.

16 Me LISE DUQUETTE :

17 Maître Hamelin, pourriez-vous nous donner la page
18 PDF de la pièce B-0015?

19 Me PAULE HAMELIN :

20 J'ai juste le document papier devant moi, peut-être
21 qu'on peut m'aider.

22 Me PATRICK OUELLET :

23 La page 143 de 215.

24 R. I'm there.

25

1 Me PAULE HAMELIN :

2 Mais je veux m'assurer que la Régie le soit aussi.

3 Okay. Parfait.

4 Q. **[240]** So, in this... in this page, we see the
5 estimates, so the estimated growth rates for the
6 Canadian sample and in the second column, we see
7 the number of estimates, and especially with
8 respect to IBES we see that the numbers go for
9 estimates from two to four at the maximum. Am I
10 summarizing it correctly, Dr. Villadsen?

11 R. Yes.

12 Q. **[241]** Okay. If a utility analyst provides a growth
13 forecast for a company they cover, in your
14 judgement, are they likely to provide a forecast
15 for all the utilities they cover?

16 R. No. Not necessarily.

17 Q. **[242]** Is it possible that for the... with five of
18 the eight Canadians where we only have two
19 forecasts that it's really a low number of analysts
20 that would follow those companies?

21 R. I don't know. The other thing to keep in mind here
22 is that the way IBES do their forecasts is at if
23 anyone forecast is more than a hundred and eighty
24 (180) days old, they no longer use that forecast,
25 they consider it outdated. So, it's possible that

1 more analysts have provided forecast, but those are
2 outdated as of this time.

3 Q. **[243]** So, you explain the low number of estimates
4 not by, am I to understand, not by the fact that
5 there are a few security analysts, but by the fact
6 that some estimates would be outdated? Is that what
7 I should understand?

8 R. I don't know, but it's one other explanation for
9 why there might be fewer.

10 Q. **[244]** But one of the reasons could be the number of
11 analysts, correct?

12 R. Yes.

13 Q. **[245]** Okay. And I see that for Value Line, because
14 they do not necessarily cover the jurisdiction, we
15 only have two estimates.

16 R. That's correct.

17 Q. **[246]** Okay. Would you agree with me that it's a
18 small representation for... for the sample?

19 R. I would agree that it would preferable to have more
20 analysts covering, but I still believe that this is
21 information that is provided by very large, mostly
22 institutional investors and I believe they probably
23 do have value and investor's look at this.

24 Q. **[247]** I understand from your answer that it could
25 be better?

1 R. It's always better to have more data in terms of
2 the history, yes. But it doesn't mean you should
3 dismiss the data we do have.

4 Q. **[248]** Would it be fair to say that most of the, of
5 these estimates would be given by US agencies?

6 R. I don't know. I will have to go back and look at my
7 responses to where the analysis can from. It's also
8 important here to actually realise that with
9 exception of two companies in this sample, we're
10 looking at here, the rest of them have more assets
11 in the US than they have in Canada. So it's really
12 a North American sample rather than a Canadian
13 sample. Which means that's it's not unnatural for
14 US analyst to provide forecast on them.

15 Q. **[249]** I turn back to your report. This time it's in
16 the schedule BV-1 page 4 if somebody could give me
17 the PDF and... sorry during the break I left my
18 computer in my office so. So I was referring to
19 schedule 1 of your report which is BV-1 and the
20 paper page is page 4. So, apologies to the Régie.

21 Me ADINA GEORGESCU :

22 Alors si Maître Duquette pouvait nous donner la
23 page PDF.

24 Me LISE DUQUETTE :

25 Je pensais que vous alliez me la donner alors je me

1 disais...

2 Me ADINA GEORGESCU :

3 Non.

4 Me LISE DUQUETTE :

5 Ça serait la page 110.

6 Me PAULE HAMELIN :

7 Q. **[250]** Alors, it's just under section 2, and I think
8 that you referred briefly to that in your
9 presentation today. It's your... the question of
10 the optimism bias. Doctor Booth refers to these,
11 the security's analysts as a, as a sell-side
12 journalist. But in your report, you indicate your
13 position on optimism bias. At the end of, of this
14 paragraph when you say, perhaps we can just scroll
15 down. Yes. Here. You refer to economic studies and
16 at the end you say:

17 None of which is applicable to most
18 utility companies with wide analyst
19 coverage and information transparency.

20 R. Yes.

21 Q. **[251]** Would you agree with me that when you refer
22 here to analyst coverage, you mean, you mean
23 security analyst for this case?

24 R. Yes.

25 Q. **[252]** And, would you agree with me that the few

1 analysts that we have talked about, could be, well,
2 would not necessarily be wide coverage. Do you
3 agree?

4 R. So, wide cover is a relative term because if you
5 look at, for example, the S&P 500 you have an
6 average of two analysts covering the five hundred
7 (500) largest, each of the five hundred (500)
8 largest companies in the US. So, here we look at
9 something between two and four that's relatively
10 wide.

11 Q. **[253]** It's a question of perspective.

12 R. Yes.

13 Q. **[254]** Do you agree with me that the growth rates
14 forecast you use are short term?

15 R. There are three to five years.

16 Q. **[255]** And you, do you qualify this as short term?

17 R. It depends on the perspective. It's short term in
18 terms of the life of a utility's assets. It's long
19 term from an accounting perspective.

20 Q. **[256]** And my understanding... is it fair to say
21 that the model generally requires the forecast
22 growth rates that reflect investors expectations
23 about the pattern of dividend growth for the
24 companies should be a sufficient long horizon?

25 R. It requires a forecast for the cashflow for a

1 sufficiently long horizon ideally for as long as
2 the company exists.

3 Q. **[257]** Do you know the name, the names of the
4 investment banks that provides these growth
5 forecasts?

6 R. I provided that in a response to one of the data
7 requests. I think from OC, I can't recall as I sit
8 here.

9 Q. **[258]** Is it possible for you to verify and provide
10 us with the information?

11 R. Yes.

12 Q. **[259]** Sorry if I don't have it at hand, we can...

13 Me PATRICK OUELLET :

14 Do you want to us to verify now?

15 Me PAULE HAMELIN :

16 Non. Je vais, je vais... I think we have, I'm just
17 taking a note for, for the decision and for, for,
18 for the IRs.

19 Q. **[260]** And you do not remember by heart which
20 Canadian banks?

21 R. No. I do not.

22 Q. **[261]** O.K. Is it to your knowledge that the Régie
23 has considered in the past the question of the
24 optimistic bias?

25 R. I do not recall.

1 Q. **[262]** I think I've tried to file, during the break,
2 the decision which I was going to refer you to.
3 Which is decision D-2014-34. I don't know if it's
4 already 78, so it's C-ACIG-78. If I can ask, Madame
5 la Greffière, to put it on the screen. And just as
6 a little bit of context, if I remember correctly
7 this was in a rate of return file with respect to
8 Hydro-Québec. Yes.

9 So I'm referring you to paragraph 182 and I
10 will explain to you while I'm looking at it. So
11 there was a debate, Dr. Villadsen has to... the
12 similar question that you are, well, the similar
13 question of optimism bias in that decision and, I
14 want to draw your attention to paragraph 184, where
15 the Utility essentially referred to an authority to
16 suggest that we should put aside this question of
17 optimism bias and I refer you to the Financial
18 Analyst Journal. My understanding, it's the same
19 article that you are referring in your report. Is
20 that correct?

21 R. Yes.

22 Q. **[263]** So that was not, you were not aware of that
23 decision. Dr. Villadsen?

24 R. I have not seen this decision, no.

25 Q. **[264]** Okay.

1 R. And I think, has been indicate before, I do not
2 read French.

3 Q. **[265]** Yes. I understand, but sometimes you may
4 discuss with colleagues in preparation of this
5 file, so that's the reason why I've ask you. So,
6 it's the... the evidence that was filed by
7 Concentric in that file it was not understand to
8 your knowledge either? And he represented
9 Hydro-Québec.

10 R. I did not review Concentric's file in that docket,
11 no.

12 Q. **[266]** And in that case, it was Dr. Booth's
13 testifying for one of the intervener, and he refers
14 to two references to contradict the position that
15 Concentric was... was taking. I now refer you to
16 paragraph 188 and 189. If we can just scroll down.
17 So, Dr. Booth was referring in that decision to a
18 -- I don't know if I can say a study -- but an
19 authority from Easton and Sommers, and also another
20 authority from the firm McKinsey & Company which
21 was published in the... where there was an article
22 published in the Globe and Mail. Were you aware of
23 those... those authorities?

24 R. I know of the Easton and Sommers paper which is a
25 general study of companies that are in the S&P 500

1 and not pertaining to utilities specifically. It's
2 also a fairly old article, so the study... what
3 might have happen, I can't remember when it was
4 published, but it's not an article that dates back
5 the last five years or so.

6 Q. **[267]** But I understand that your... the article
7 that you are yourself citing is dated back twenty
8 ten (2010), correct?

9 R. Yes. The (inaudible) article goes back to twenty
10 ten (2010), yes.

11 Q. **[268]** Okay. And the other one from McKinsey &
12 Company, was it, to your knowledge?

13 R. The McKinsey article, no, I have not seen that.

14 Q. **[269]** So, in your own report, I understand that you
15 have cited, I think, four articles that was
16 essentially on the same side as the position that
17 was taken by, in this case, by Dr. Booth. So, in
18 addition to your articles, there are those two
19 articles also raising the issue of optimism bias,
20 correct?

21 R. They do. Of importance here, is that we need to
22 look at whether or not articles that pertain to the
23 TSX companies or to companies in general have any
24 bearing on utilities, and that was what I was
25 looking for when I was looking for articles for my

1 report. I was looking for what other
2 characteristics of utilities as opposed to say the
3 S&P 500 or the TSX. Utilities are much more stable
4 companies, they tend to be much older, they tend to
5 be, and that's an important aspect of what you
6 asked me to before, mainly that they have
7 informatial transparency, because not only are they
8 regulated by their FEC and similar agencies, but
9 there is also a lot of information in the
10 regulatory environment such as where they have to
11 do filings. So, that's a lot of information for
12 analysts to look at for utilities that are not
13 available in general.

14 Q. [270] So, we'll go down to paragraph 206, just to
15 indicate the Régie's findings. On that question,
16 they essentially indicate that there was the
17 position of Concentric, there was the position of
18 Dr. Booth and indicated that there must be prudence
19 using those... those estimates in the model. So, I
20 understand that you were not aware of the Régie's
21 decision indicating that there should be prudence
22 in using those estimates. Correct?

23 R. I was not, but I do agree that you certainly have
24 to use prudence when you look at these estimates,
25 and that's one of the reasons that I always look to

1 what are those estimates, and one of the reasons
2 that I look also to the multi-stage DCF.

3 Me PAULE HAMELIN :

4 Mister President, if that would be a good time
5 to... to call it the day, this would probably give
6 me the time to make sure that I can speak with our
7 expert and be ready as much as possible for
8 tomorrow morning, the continuation of my
9 cross-examination.

10 LE PRÉSIDENT :

11 Bien, si vous avez terminé, oui, effectivement, ce
12 serait un très bon moment, là, pour terminer la
13 journée, et on se reverrait... on se revoit, donc
14 demain à... demain matin à neuf heures (9 h).

15 Me PAULE HAMELIN :

16 Parfait.

17 AJOURNEMENT DE L'AUDIENCE

18

19

20

21 Riopel Gagnon Larose & Associés.