

RÉGIE DE L'ÉNERGIE

DEMANDE CONJOINTE RELATIVE À
LA FIXATION DE TAUX DE RENDEMENT
ET DE STRUCTURES DE CAPITAL

DOSSIER : R-4156-2021 PHASE 2

RÉGISSEURS : M. JOCELIN DUMAS, président
Me LISE DUQUETTE
Mme ESTHER FALARDEAU

AUDIENCE DU 20 JUIN 2022
PAR VISIOCONFÉRENCE

VOLUME 6

CLAUDE MORIN
Sténographe officiel

COMPARUTIONS :

Me LOUIS LEGAULT
Me AMÉLIE CARDINAL
avocats de la Régie

DEMANDERESSES :

Me MARIE-PIER CLOUTIER
Me PATRICK OUELLET
avocats d'Énergir

Me ADINA GEORGESCU
avocate de Gazifère et de Intragaz

INTERVENANTS :

Me PAULE HAMELIN
avocate de l'Association des consommateurs
industriels de gaz (ACIG);

Me STEVE CADRIN
Me GAËLLE OBADIA
avocats de l'Association hôtellerie Québec et de
l'Association restauration Québec (AHQ-ARQ);

Me ANDRÉ TURMEL
avocat de la Fédération canadienne de l'entreprise
indépendante (FCEI);

Me ÉRIC McDEVITT DAVID
avocat de Option consommateurs (OC).

TABLE DES MATIÈRES

	<u>PAGE</u>
LISTE DES ENGAGEMENTS	4
PRÉLIMINAIRES	5
PANEL 3 - ACIG	
EXAMINED BY Me PAULE HAMELIN	11
CROSS-EXAMINED BY Me PATRICK OUELLET	58
EXAMINED BY Me LOUIS LEGAULT	205
EXAMINED BY THE FORMATION	227

LISTE DES ENGAGEMENTS

PAGE

E-5 (ACIG): Transmit the calculation sheets for
all of the six figures seen in the
column "Booth" (asked by EGI) 149

1 L'AN DEUX MILLE VINGT-DEUX (2022), ce vingtième
2 (20e) jour du mois de juin :

3

4 PRÉLIMINAIRES

5

6 LA GREFFIÈRE :

7 Protocole d'ouverture. Audience du vingt (20) juin
8 deux mille vingt-deux (2022) par visioconférence.
9 Dossier R-4156-2021 Phase 2 : Demande conjointe
10 relative à la fixation de taux de rendement et de
11 structures de capital. Poursuite de l'audience.

12 LE PRÉSIDENT :

13 Merci, Madame St-Cyr. Alors, vendredi après-midi,
14 on a reçu réponse à l'engagement numéro 4 qu'on
15 estime satisfaisant. Donc, la preuve des
16 demanderesses est close. Et s'il n'y a pas de
17 questions préliminaires, on continuerait d'entendre
18 docteur Booth.

19 Me ADINA GEORGESCU :

20 Bonjour, Monsieur le Président; bonjour à la
21 formation. Adina Georgescu pour Gazifère et
22 Intragaz. Monsieur le Président, il y aurait peut-
23 être une petite question préliminaire avant de
24 continuer avec le témoignage du docteur Booth.
25 C'est simplement pour vous dire, bon, vendredi

1 passé lors du contre-interrogatoire du docteur
2 Hopkins, il a été mentionné d'une décision de
3 l'Alberta lors du contre-interrogatoire ainsi que
4 d'un règlement de la Ville de Montréal. Maître
5 Hamelin, pendant la fin de semaine, nous a demandé
6 de lui communiquer l'information. Juste vous
7 informer que la décision qui a été rendue en
8 Alberta a été déposée vendredi dernier sur le SDÉ.
9 Quant au règlement de la Ville de Montréal, il va
10 être déposé dans les prochaines minutes.

11 Et à ce sujet-là, relativement au règlement
12 de la Ville de Montréal tout particulièrement, en
13 révisant nos notes de l'audience au courant de la
14 fin de semaine, nous avons réalisé qu'une question
15 de contre-interrogatoire qui a été adressée au
16 docteur Hopkins relative à ce règlement tout
17 particulier a été formulée de manière un peu
18 générale et aurait bénéficié peut-être davantage de
19 précision pour éviter toute confusion. Donc, dans
20 un souci d'efficacité et avec l'autorisation de la
21 Régie, nous suggérons de reformuler la question par
22 lettre, qui est d'ailleurs déjà prête et qui pourra
23 être déposée sur le SDÉ dans les prochaines minutes
24 également. Et si cette reformulation requiert du
25 docteur Hopkins une réponse différente de celle qui

1 a été donnée à la question initiale, nous suggérons
2 que cette nouvelle réponse puisse être soumise par
3 voie de déclaration sous serment d'ici la fin de la
4 semaine.

5 Et dans la mesure où la réponse initiale
6 qui a été donnée demeure la même, à ce moment-là,
7 il n'y aurait pas nécessité qu'une déclaration soit
8 déposée. Et si dans le délai, d'ici la fin de la
9 semaine, nous ne recevons rien, nous prendrons pour
10 acquis à ce moment-là que la réponse initiale est
11 maintenue. Donc, c'est un peu la façon de procéder
12 que l'on suggère dans la mesure où cela satisfait
13 la Régie et où ça convient à maître Hamelin
14 également.

15 LE PRÉSIDENT :

16 Avez-vous un commentaire, Maître Hamelin?

17 Me PAULE HAMELIN :

18 Bien, écoutez, c'est un peu non orthodoxe, si je
19 peux dire, comme façon de procéder. Je vais
20 premièrement m'assurer que le docteur Hopkins est
21 toujours disponible, parce qu'il avait été
22 naturellement libéré. On va regarder la question.
23 On va revenir à la Régie si on voit un problème
24 avec la proposition de ma consœur, et
25 naturellement sous réserve des disponibilités du

1 docteur Hopkins. On va faire dans notre possible de
2 le rejoindre et on verra comment... Parce que,
3 naturellement, il est libéré, mais on lui demande
4 cette question-là. Alors, on va voir comment on
5 agit dans les circonstances.

6 LE PRÉSIDENT :

7 Très bien. Alors, Maître Georgescu, vous pouvez
8 déposer votre question, puis on verra par la suite.

9 Me ADINA GEORGESCU :

10 Parfait.

11 Me PATRICK OUELLET :

12 Moi aussi, Monsieur le Président, si vous me
13 permettez, j'avais un point d'intendance très
14 rapidement. Le docteur Booth, on avait annoncé une
15 heure en chef. Là, ça fait une heure et quart, puis
16 on est à la « slide » disons 16 sur 51, donc un
17 petit peu moins du tiers. Si on pouvait juste avoir
18 une estimation on en a pour combien de temps, parce
19 que ça risque de faire un peu dérailler le
20 calendrier d'audience si on triple le temps annoncé
21 en chef. Parce que, moi, j'ai quand même beaucoup
22 de questions en contre-interrogatoire. Et on avait
23 annoncé trois heures.

24 Me PAULE HAMELIN :

25 Alors, on est conscient de ça, Monsieur le

1 Président. On va tenter d'y aller plus rondement
2 avec le restant de la présentation du docteur
3 Booth. On pourrait peut-être passer en anglais pour
4 les fins de l'exercice. Mais je pense qu'on va être
5 en mesure de le faire dans le temps... Bien, en
6 fait pas dans le temps qui avait été annoncé, parce
7 que, déjà, on est dépassé mais pour tenir compte du
8 contre-interrogatoire de mon confrère. Alors, on va
9 tenter d'y aller plus rondement pour la suite de la
10 présentation.

11 LE PRÉSIDENT :

12 Très bien. Merci.

13 Me PAULE HAMELIN :

14 So, maybe...

15 Me PATRICK OUELLET :

16 J'allais simplement dire merci, Maître Hamelin.

17 Excusez-moi, je ne voulais pas vous interrompre.

18 Allez-y!

19 Me PAULE HAMELIN :

20 Non, peut-être que juste pour les fins de
21 l'exercice, Dr. Booth, just to let you know there
22 were some questions with respect to the examination
23 of Dr. Hopkins referring to a by-law of the City of
24 Montreal. An additional question will be ask in
25 writing to Dr. Hopkins in order to answer to that

1 question and referring to... we'll see the question
2 to Dr. Hopkins pertaining to the by-law of the City
3 of Montreal. With respect and... with respect to a
4 decision that was referred to... to Dr. Hopkins in
5 his cross-examination this... this decision has
6 been filed Friday, it's the AUC 2023 Direct Cost of
7 Capital. So, that was filed Friday.

8 With respect to the timing of your
9 presentation, that question was asked as to, since
10 we have announced a certain number of hours, and I
11 indicated that we will be proceeding maybe in --
12 not expedite version - but we will be sure that
13 there is sufficient time for the utilities to
14 proceed to your cross-examination today.

15 So, having said that, I think that Dr.
16 Booth is still under the same oath and I think he
17 can now proceed, Mister Chairman.

18 LE PRÉSIDENT :

19 Yes. We're ready.

20

21 PANEL 3 - ACIG _____

1 IN THE YEAR TWO THOUSAND TWENTY TWO, on this
2 twentieth (20th) day of June, PERSONALLY CAME AND
3 APPEARED:

4
5 LAURENCE BOOTH, professor of finance, CIT Chair in
6 Structured Finance, Rotman School of Management,
7 University of Toronto, 105, St. George Street,
8 Toronto (Ontario);

9
10 Testifying under the same solemn affirmation, doth
11 depose and saith as follows:

12
13 EXAMINED BY Me PAULE HAMELIN:

14 Q. [1] So, Dr. Booth, I think that we closed your
15 presentation by discussing the, I think, the next
16 slide in your presentation... And, Madame la
17 Greffière, maybe we can put back the presentation
18 of Dr. Booth. I think it's C-ACIG-0087. And if you
19 go to the page, which was I think Fair ROE, and
20 from now I'll... it's the next page.

21 R. Okay. First of all, I'd like to apologize to
22 counsels and the Régie for taking too long, but I
23 can blame my lawyers because they asked me to
24 counter several things in Dr. Villadsen's direct
25 testimony, and as a result, it added time to what I

1 originally planned to say.

2 So, in terms of my presentation, the first
3 third of it really is on business risk. And this is
4 business risk from the sense of the capital market,
5 not on the nitty gritty, which Dr. Hopkins gets
6 into. So, the second part here is referring to my
7 direct testimony, so the fair ROE, and the final
8 part, which essentially has been added at the
9 request of counsel, is to deal with some of the
10 things that Dr. Villadsen said.

11 So, in talking about the fair ROE, Dr.
12 Villadsen and I both use the same techniques, the
13 two basic ones are the risk premium model where the
14 Capital Asset Pricing Model is one variation of
15 that, where the core of it is the risk value of
16 money and the time value of money. And then the
17 Discounted Cash Flow simply sets the market prices
18 and try to work out what on earth would the
19 investors doing given a stream of cash flows that
20 the firm is expected to earn.

21 So, we're trying to sort of work out what
22 the investors are doing. So, Madame St-Cyr, can you
23 change to next overhead, please.

24 So, the two critical methods they work best
25 in aggregates, the more you get down to individual

1 companies and individual securities, the more
2 difficult it is to interpret any model, there's
3 more uncertainties. So, I start out looking at the
4 big picture in terms of in the overall capital
5 market, because when you look at the capital market
6 as a whole a lot of things disappear through
7 diversification.

8 So, for the Capital Asset Pricing Model,
9 for example, we got the time value of money and the
10 risk-free rate. And then we've got the risk premium
11 for the individual security, and there is
12 significant disagreement with Dr. Villadsen and I
13 on the correct relative risk of utilities, the beta
14 coefficient. There's less risk... sorry, less
15 disagreement between us on the market risk premium.

16 In fact, her historic market risk premium
17 of five point six eight percent (5.68%) is
18 indistinguishable from mine, five point five to six
19 percent (5.5-6%).

20 Similarly, when we look at the Discounted
21 Cash Flow Model, we are essentially looking for the
22 aggregate market of the dividend yield on the stock
23 market plus long-term growth. Now, it's important
24 here to recognize that that model comes from a
25 very, very specific model for valuing stocks. It

1 assumes that the growth rate in the dividends go on
2 to perpetuity and we can use the formula for a
3 geometric series to get a close form for the value
4 of the stock and as a result the dividend yield
5 plus growth model results. And that growth rate is
6 technically the cost in growth rate in perpetuity.

7 The individual stock is causing enormous
8 problem, because no company can grow, say at nine
9 or ten percent (9-10%) in perpetuity when the stock
10 market is only, overall market is only growing at
11 three and a half, four percent (3.5-4%) in long-run
12 growth.

13 So, there's a constraint on that for
14 individual stocks that doesn't exist for the stock
15 market as a whole. So, I start out looking at these
16 two models, because they work better under
17 different sources of economic circumstances. So, if
18 you set the beta is equal to one, we got the
19 estimate for the market return, and if you set the
20 growth rate equal to the long-run growth rate in
21 the economy, which is basically the most that the
22 earnings can grow at, otherwise earnings and
23 dividends will increase exponentially as a
24 percentage of GDP, and eventually all of the GDP
25 will be earnings to the stock market rather than

1 wages or salary, employment or anything else.

2 So, when we do that... and next slide,
3 please. And this is what I've done here. I've
4 looked at the overall stock market, not individual
5 securities, because it's a lot easier to use these
6 models for the overall stock market. And I've
7 assumed the market risk premium was three point
8 five percent (3.5%), which is basically what I was
9 using about twenty (20) years ago, and long-run
10 growth rate. And the long-run growth rate was about
11 three point five percent (3.5%) twenty (20) years
12 or so ago. So, these are long-run values going back
13 decades in terms of the tradeoff between equities
14 and bonds. So, can we go to the next slide, please?

15 And when you do this, and in this case
16 subtract the risk premium estimates from the DCF
17 estimates, we get an idea of when these models
18 perform well and when they perform badly. For
19 example, you can see in the nineteen seventies
20 (1970s), the DCF models were giving higher values
21 than simple risk premium models. And I call them
22 naive, because I'm using this constant market risk
23 premium and constant growth rates.

24 In contrary, in contrast, in the nineteen
25 eighties (1980s) and to the nineteen nineties

1 (1990s), risk premium models were giving high rate
2 return to DCF models. And then, since about two
3 thousand and six (2006), we got simple DCF models
4 giving higher values than risk premium models.

5 So, this is basically to set up the fact
6 that I look at both DCF and risk premium models. In
7 fact, I'll look at anything that is available to
8 get inside into what investors require in terms of
9 a fair rate of return.

10 Now, the critical thing... Next side,
11 please. The most objective critical problem has
12 been the long term bond yield. And now similar to
13 the nineteen seventies (1970s), we've got negative
14 real long term bond yields or have had until very,
15 very recently. And this is causing problems with
16 the... the risk premium models. And this has been
17 recognize by several authorities including the
18 Régie in past decisions.

19 And when we look at this, this is the graph
20 of the Treasury Bill yields on the long term bond
21 yield. Up until two thousand and eight (2008), we
22 can see that the pink line basically touch the blue
23 line, which means the Treasury Bill yields were
24 almost at the same level as long Canada bond
25 yields, and that was because at that time the Bank

1 of Canada was actively trying to slow down the
2 economy because we were actually having inflation
3 above the three percent (3%) top of the Bank of
4 Canada target range.

5 That changed dramatically because of
6 problems in the United States. The United States
7 great financial crisis, they almost destroyed the
8 US banking system, starting with the collapse of
9 Bear Stearns in two thousand and seven (2007),
10 going forward to the failure of Lehman Brothers in
11 October two thousand and eight (2008), the shotgun
12 marriage of Merrill Lynch to Bank of America, the
13 enormous bailout of Citibank, the US seriously
14 damaged the core of the economic system which is
15 investment banking and the banking system.

16 And as a result, we got this dramatic drop
17 in interest rates in two thousand eight (2008) and
18 two thousand and nine (2009). And then, Canada's
19 started recovering very, very quickly because we
20 were side swipe by the United States, but we never
21 suffer the serious problems that the United States
22 suffered. And by two thousand and nine (2009), two
23 thousand and ten (2010), the Bank of Canada was
24 increasing the overnight rate normalizing as it
25 were.

1 And the last time I was here for a GMI, Gaz
2 Métro hearing was in two thousand and eleven
3 (2011). And as you see on the graph, by then we've
4 already increased interest rates in Canada several
5 times and the forecast for the long Canada bond
6 yields was four and a half percent (4.5%), four
7 point five five percent (4.55%). And then again we
8 were side swiped by the Americans.

9 In fact, from that period, two thousand
10 eleven (2011) the GMI hearing right up until the
11 end of two thousand and nineteen (2019), I refer to
12 it generally as to "Waiting for Godot", where the
13 Americans were Godot. Canada was basically trading
14 water for the best part of five years, waiting for
15 the Americans to solve the core problems in the US
16 financial system and for the US to get back to
17 normal.

18 This was a period when there was massive
19 central banks buying of bonds in order to depress
20 long term interest rates, and some of that spilled
21 over into Canada because the capital markets are
22 obviously closely related, the US and Canada.

23 We thought we were getting out of this at
24 the end of two thousand and nineteen (2019), and
25 then of course we heard about this virus coming out

1 of China and by March two thousand and twenty
2 (2020), we were deep in a mess again with lower
3 interest rates.

4 So, when you look at this, in terms of the
5 risk premium model, the basic problem is being the
6 long Canada bond yields. The next slide, please.

7 When we look at long term bond yields, it
8 has been a deliberate policy of the Bank of
9 England, the European Central Bank, the Federal
10 Reserve, to lower long term interest rates. And
11 they've done this by massive buying of long term
12 bonds, primarily government bonds.

13 In two thousand eight (2008), before the US
14 financial crisis, the combined central banks had a
15 balance of about four trillion dollars (\$4T) worth
16 of bonds, by the end of twenty twenty-one (2021),
17 that was up to twenty-four trillion dollars (\$24T),
18 so, that's twenty trillion dollars (\$20T). And I'll
19 say that again, trillion, not billion, not million,
20 trillion dollars worth of bonds have been taken off
21 the capital market by the actions of the central
22 banks.

23 That deliberate buying was to lower
24 interest rates. So, what we got in the capital
25 market is artificially low long term interest

1 rates, and we got a distorted view of the tradeoff
2 that investors would otherwise make between bonds
3 and equities and other financial securities. Next
4 slide, please.

5 Back in two thousand eleven (2011), two
6 thousand and twelve (2012), I was trying to get a
7 handle on this and I did that by looking at
8 preferred share yields. Now, preferred shares are
9 part of equity, they're equity securities, they're
10 paid out of net income and they're paid after we
11 pay taxes and after we pay interest. They are not
12 bonds, they behave very much like equities with a
13 twist that they've got a fixed dividend, a
14 preferential dividend, traditionally preferred
15 share yields have been close to the yield on A
16 bonds. And we see that in this graph up until two
17 thousand and eleven (2011).

18 Once the US in particular started this
19 massive bond buying to depress yields on bonds, the
20 preferred share yields didn't react to the same
21 degree, because there are equities, they are
22 basically a made in Canada product because of the
23 way in which we tax dividends. They're not as
24 affected by central banks bond buying, and we can
25 see that starting in two thousand and eleven (2011)

1 with this massive central banks bond buying,
2 preferred share yields did not go down to the same
3 degree as A bond yields, the long Canada bond
4 yields.

5 At that time, I said: Look, we cannot build
6 a fair return off distorted long Canada bond
7 yields. Look at preferred share yields to indicate
8 what is happening on equity rates of return. And I
9 think it was in a Hydro-Québec or Intragaz hearing,
10 I said: The forecast long Canada bond yield was
11 three percent (3%), but looking at the behaviour of
12 preferred share yields indicates that that's at
13 least nought point eight percent (0.8%) below where
14 it would be but for the actions of the central
15 banks. So, I added nought point eight percent
16 (0.8%) to the forecast long Canada bond yield at
17 that time, and ever since I've said: essentially
18 I'm not changing my fair rate return until we get a
19 normalization in the bond markets and until we get
20 long Canada bond yields above three point eight
21 percent (3.8%). And I started saying that in two
22 thousand eleven (2011), two thousand and twelve
23 (2012), and I'm still saying that. Next slide,
24 please.

25 So, where are we now? This was the federal

1 government's budget in twenty twenty-one (2021),
2 and if you look at the second row, it has the ten
3 year government bond rate and it has it going out
4 to twenty twenty-five (2025) of two point seven
5 percent (2.7%). That was based on Consensus
6 Forecasts. For the last twenty (20) years the
7 government has relied upon Consensus to avoid any
8 sort of complaints that it's coming up with biased
9 long Canada forecast simply to ease its financial
10 problems. So, that is based upon Consensus
11 Forecasts. That was a year ago.

12 This March, the Parliamentary Budget
13 Officer came out with a forecast, and again long
14 term bond yields by that time was three percent
15 (3%) adding the spread to the thirty (30) year bond
16 I come up with three point three seven percent
17 (3.37%) as my best estimate of the long Canada bond
18 yield. Essentially, the end of the... of a three
19 year test year. That's still nought point four...
20 four three percent (0.43%) below what I regard is a
21 minimum yield reflecting a tradeoff between bonds
22 and equities by private individuals.

23 So, I add nought point four three percent
24 (0.43%), I call it an operation twist adjustment
25 because it was a deliberately attempt by the

1 Federal Reserve and other central banks to twist
2 the relationship between short and long term
3 interest rates, and in particular to lower long
4 term interest rates. Next slide, please.

5 So, if I compare my forecast with that made
6 by the Régie in its two thousand eleven (2011)
7 decision on Gaz Métro, at that time the risk-free
8 rate was three point nine (3.9) to four point five
9 percent (4.5%). At the moment, I have it as three
10 point three seven percent (3.37%). The Régie used a
11 market risk premium of five point five to five
12 point seven five percent (5.5-5.75%), I used five
13 point five to six percent (5.5-6%) at the moment.
14 The Régie used a beta of point five to point six
15 (0.5-0.6), I used point five to point five five
16 (0.5-0.55). So, on that basis, the major difference
17 is the change in the long term interest rates since
18 two thousand eleven (2011) as a result of this
19 central banks bond buying.

20 The Régie added point two five to point
21 three five (0.25-0.35) for Gaz Métro's added risk,
22 I don't do that because I still believe that giving
23 them a forty-six percent (46%) equity ratio versus
24 the thirty-seven percent (37%) for example for a
25 gas distributor in Alberta, is the adjustment for

1 risk. We generally tend to adjust for business risk
2 in common equity ratios, we still do see
3 adjustments in the allowed ROE, but I regard the
4 extra common equity ratio as adjusting for Gaz
5 Métro's risk, and that's the same as I said in two
6 thousand eleven (2011).

7 The Régie allowed point two five to point
8 five percent (0.25-0.5%) for other models, that's
9 really what I regard as my nought point four three
10 percent (0.43%) for operation twist, which gives
11 the overall result.

12 One final thing the Régie did in two
13 thousand eleven (2011) was adjust for credit
14 spreads and here there has been a significant
15 difference. When we were looking at this in two
16 thousand and eight (2008) through two thousand and
17 twelve (2012), we were worried about the fact that
18 A credit spreads over long Canada bond yields were
19 relatively high, but they could be high for two
20 reasons: one, the yield on A bonds are high, the
21 other is the yield on the long Canada bond is low.
22 And what we've now seen with more and more
23 evidence, that's the long Canada bond yield that's
24 gone down that causes the increase in spreads, not
25 any adjustment for risk.

1 In fact, A bond yields in Canada and in the
2 United States are extremely similar, so I don't
3 regard that as justifying any adjustment for credit
4 spreads. So, that's a change in my testimony
5 basically now compared to two thousand eleven
6 (2011). Next slide, please.

7 So, the other elements are the market risk
8 premium and the beta...

9 Q. **[2]** Excuse me, Dr. Booth to interrupt you. Can we
10 go back to the previous slide?

11 R. As long as you credit it to your time and not mine.

12 Q. **[3]** Can we just... do you have any comments
13 pertaining to Dr. Villadsen's statement that your
14 beta is point seventy-four (0.74)?

15 R. I do. I put it here, but I'll deal with it, I think
16 it's easier to deal with it when I talk about my
17 betas.

18 Q. **[4]** Perfect.

19 R. My beta is not nought point seven four (0.74) for
20 reasons I'll get to.

21 Q. **[5]** Thank you.

22 R. My beta for utilities as I say is in a range of
23 point five to point five five (0.5-0.55). So, next
24 slide, please.

25 So, my risk premium I'm using five to six

1 percent (5-6%) for the last ten years, I bumped it
2 up a little bit to five point five to six percent
3 (5.5-6%) mainly because of this continuation of
4 incredibly low interest rates and there was a
5 survey, a small survey I'll admit, but a survey of
6 professional institutions and they said the three
7 major sources they relied upon for the market risk
8 premium were Fernandez's survey, professor
9 Damodaran of NYU and Duff and Phelps. So, I
10 included those three because they are the ones that
11 are the most frequently referenced.

12 So, when we look, for example, at
13 Fernandez's survey... and Madame St-Cyr, can you
14 click on that and make it bigger so we can all see?
15 Okay. So, here we have one thousand seven hundred
16 and fifty-six (1756) responses in the United States
17 for an average of five point five percent (5.5%)
18 and a median of five point five percent (5.5%). The
19 minimum was three point one percent (3.1%) and the
20 maximum, eight percent (8%).

21 I mention that because in Dr. Villadsen's
22 evidence she has a market risk premium of eight
23 point five zero five percent (8.505%), which is
24 beyond the top of the range of one thousand seven
25 hundred fifty six (1756) responses in the United

1 States. But Fernandez five point five percent
2 (5.5%) well within my five to six percent (5-6%)
3 traditional range and a little bit lower than the
4 five point five to point six percent (5.5-6%) that
5 I'm using at the moment.

6 So, if we go across to look at Professor
7 Damodaran, he's a professor at NYU and he has
8 written a popular text book on valuation, and he
9 has estimated the implied risk premium going back
10 to nineteen sixty (1960) and you can see his
11 estimate in the sixties and seventies was three
12 percent (3%), in fact I was using as I said three
13 point five percent (3.5%) at one stage, and most
14 recently it's been in the range five to six percent
15 (5-6%), very similar to mine. His estimates, so I
16 think, are biassed high because they're estimated
17 over the ten year yield instead of the thirty year
18 yield and are based upon Analysts Forecast, which I
19 regard this being over optimistic. So, next slide,
20 please.

21 And the final source is Duff and Phelps.
22 Duff and Phelps now has rebranded themselves as
23 Kroll. They bought the Avison's data that was used
24 in rate hearings for a long period of time. Their
25 latest, and this I think was April this year, eight

1 point five percent (8.5%) for the overall stock
2 market, three percent (3%) normalize US risk-free
3 rate, and I stress "normalized", I'm not the only
4 person that sort of doesn't accept current long
5 term bond yields, and a five point five percent
6 (5.5%) what he calls equity risk premium, but what
7 is commonly refer to as the market risk premium.

8 And if you look at that, you can backout
9 the expected return on the market, which is the sum
10 of those two, eight point five percent (8.5%). And
11 you can see as well the long term forecast for the
12 stock market as a whole... as a whole, the base for
13 the market return hasn't been above ten percent
14 (10%) until we go all the way back to two thousand
15 and eight (2008). And that sort of anchors all of
16 the recommendations. You can't have a low risk
17 utility having an equity cost higher than that of
18 the overall stock market, that's just risk
19 positioning. So, next slide, please.

20 So, that's the market return and the market
21 risk premium. These are my estimates of Canadian
22 utility betas using the Utilities subindex of the
23 Toronto Stock Exchange estimated in a normal way,
24 five years of data over monthly returns going back
25 to when Standard & Poor's rebased their indexes

1 back in nineteen eighty-seven (1987). So, this is
2 the longest period possible.

3 The purple and the dark blue lines are the
4 betas and there was a concern in the early two
5 thousands that the betas were unusually low and why
6 was that. And one reason given at the time was the
7 interest sensitivity of utilities stocks and that's
8 measured by the green line. It's essentially saying
9 how sensitive a utility stock is to interest rate
10 declines.

11 And we can see that during this period in
12 the... around the two thousands, interest
13 sensitivity was relatively high and betas were
14 relatively low. But when you look at this whole
15 time period, betas on the Utilities subindex have
16 been around point four, point five (0.4-0.5) with
17 absolutely no sign of a tendency of those betas to
18 drift towards one. That's just incompatible with
19 the historic beta coefficient, relative risk
20 coefficient in Canada. Next slide, please.

21 So, this is where, I think, Dr. Villadsen
22 got my nought point seven four (0.74) because if
23 you look at the last column headed Booth, you see
24 average nought point seven four (0.74) median
25 nought point six seven (0.67) and these are my beta

1 coefficients estimated by myself using the
2 underlying data, estimates from Reuters, estimates
3 from an independent research group called CFRA,
4 estimates from Yahoo, they use Standard & Poor's
5 data, and estimates from RBC. And when you look at
6 these estimates, you see that they're all very,
7 very similar, we're all doing basically the same
8 thing.

9 So, the estimates might be over slightly
10 different time periods, Reuters are in yellow
11 because they estimate their betas relative to the
12 US market index rather than the Canadian market
13 index. And as you see, it tends to be, they're a
14 little bit lower estimated against the US market
15 index except for Fortis.

16 But these are the estimates for all of the
17 stocks that we've got in Canada. The only other one
18 I might include is Ontario Hydro, but it's still
19 relatively recent data on that, but it includes
20 TransCanada, Enbridge and Pembina which are not
21 utilities, they're pipelines.

22 So, if we go to the next slide, and this is
23 schedule 4, I state very clearly that the
24 pipeline's risk has increased relative to utilities
25 risk, and they're no longer compatible with

1 standard rate of return regulated utilities.

2 Now, we all know the problems TransCanda
3 had with its XL pipeline into the Unites States, it
4 was approved, then unapproved, then approved, then
5 unapproved, there's a lot of risk attached to
6 TransCanada and its pipelines in the United States.

7 Enbridge is now in a battle with the
8 governor of the state of Michigan who wants to
9 decertify or not allow his line 5 under the Lake
10 Michigan. So, and Pembina acquired Fort Chicago
11 which use to be, well Veresen, which use to be Fort
12 Chicago. And it had a lot of risks because it
13 basically doubled its size, borrowed a huge amount
14 of money to finance the acquisition. So, all three
15 of those have got very high betas, they're not
16 reflective of the risk of utilities.

17 So, I don't think it's appropriate to use a
18 beta of a pipeline that's is demonstrably riskier
19 than the rate of return regulated utilities in
20 terms of an estimate. And it's certainly not my
21 estimate of the beta of utility risk. Next slide,
22 please.

23 Dr. Villadsen also claims that my Canadian
24 utility betas have been higher than the US since
25 two thousand and fifteen (2015). That again is not

1 correct. If we look at the estimate for the US gas
2 companies, the last few betas point four four
3 (0.44), point three (0.3), point two (0.2), point
4 two two (0.22). We look at the Canadian utilities,
5 not the pipelines, the utilities, point three two
6 (0.32), point two nine (0.29), point two eight
7 (0.28), point two three (0.23), point one six
8 (0.16).

9 There's no evidence that Canadian betas
10 have been significantly higher than US betas since
11 two thousand and fifteen (2015). In fact, the last
12 couple of years, they've been lower, marginally
13 lower, insignificantly lower, but there's no
14 evidence they've been greater. Next slide, please.

15 So, when we look at these US betas, the US
16 ones are almost exactly the same as mine : RBC,
17 Yahoo, CFRA, absolutely identical to mine for One
18 Gas, slight differences in some of the others, very
19 similar to RBC on a number of these. My overall
20 average point four four (0.44), median point four
21 nine (0.49), RBC point four two (0.42), point four
22 seven (0.47), Yahoo point four three (0.43), point
23 four seven (0.47), Reuters point three six (0.36),
24 point three four (0.34), CRFA point four three
25 (0.43), point four six (0.46)

1 So, these are things, they are pretty solid
2 evidence. First of all, these are not adjusted
3 betas and secondly they demonstrated the obvious,
4 that these samples of US utility holding companies
5 are low risk utilities, there are not as risky as
6 the overall stock market.

7 Now, why aren't utility betas adjusted, and
8 there's no evidence that they are adjusted, and
9 this is what's called a Blume methodology. And just
10 to sort of explain what Blume did, he looked at the
11 betas in time period T, so that's beta subscript T
12 against a period without overlapping data, so he
13 went back five years because basically we estimate
14 betas over five years of monthly data, and said
15 what's the relationship between current betas and
16 betas five years ago, is there any tendency for
17 them to move? And that's what this is, this is
18 really what we call a partial adjustment model.

19 Now, for all stocks he estimated alpha one
20 at point three three (0,33), alpha two at nought
21 point six seven (0.67), so the equilibrium beta is
22 what beta T equals beta T minus five (BT-5). So,
23 all it involves is taking that beta T minus five
24 (BT-5) to the other side and set it equal to beta T
25 (BT), so we get one minus alpha two (-a2) and then

1 dividing it to alpha one (α_1). So, point three
2 three (0.33) divided by one minus point six seven
3 (-0.67) is one.

4 Now, what I say here is that should be one,
5 it's a tautology. The overall beta for all of the
6 stocks in the market is one. So, when you do this
7 test on the overall market, you would expect some
8 sort of drift of the betas towards one unless you
9 know something specific about the stock. And Blume
10 knew nothing about the stocks, he just estimated
11 over all of the stocks in the capital market.

12 Now, way back in two thousand and one
13 (2001), my late colleague Dr. Berkowitz and I
14 replicated Blume for Canadian utilities. In that
15 time, we had I think about fourteen (14) pretty
16 much pure regulated utilities, we don't have them
17 anymore, but we did have them then, and we
18 estimated Blume's relationship beta T is equal to
19 nought point nine four seven (0.974) minus point
20 eight two two (0.822) times the beta of five years
21 previously. Doing the same thing to find the
22 equilibrium beta is point nine four seven (0.974)
23 divided by one minus minus point eight two two
24 (-0.822) solving the betas equal at nought point
25 five two (0.52). That is what I always refer to as

1 the long run beta for a utility, based upon what
2 Mike and I did twenty-one (21) years ago, and that
3 still reflects the fact that there's no sign of
4 beta's drifting towards one.

5 We did that twenty-one (21) years ago, we
6 cannot replicate it because we don't have those
7 companies. The two other studies, only studies,
8 that I'm aware of have been done it in the United
9 States and they similarly find that the adjustment
10 process for betas is towards their grand mean,
11 their mean, not the mean of the overall stock
12 market.

13 And just to emphasize, there is absolutely
14 no statistical evidence indicating the betas for
15 utility stocks adjust towards one, absolutely no
16 statistical evidence whatsoever. Okay. Next slide,
17 please.

18 The Régie recognized this in two thousand
19 eleven (2011), that was the Dr. Morin presenting
20 adjusted betas and without reading everything, I'll
21 just say:

22 With respect to the use of adjusted
23 betas, the Régie maintains the
24 position it has taken in previous
25 decisions.

1 So, the Régie has made a decision on adjusted betas
2 several times, so they do not adjust towards one
3 and that is the correct result because there is no
4 statistical evidence to support that. Next slide,
5 please.

6 Now we have the ECAPM and I would say here
7 that the original statistical studies of the
8 Capital Asset Pricing Model did find that with
9 betas above one, the CAPM overestimated returns,
10 and for betas below one, the CAPM underestimated
11 returns, and that's why the Empirical Capital Asset
12 Pricing Model has a slightly flatter line. It got a
13 high intercept and it's got a flatter line. I don't
14 disagree with that, that is the result of the
15 empirical studies. Now, that hasn't been updated
16 for decades because finances move on and we now
17 basically, the state of the art is to estimate
18 multi-factor models.

19 But that is absolutely correct, I don't
20 disagree with that, but you have to recognize that
21 in tested ECAPM it was estimating returns over
22 thirty (30) days. It was estimating the betas
23 coming up with a portfolio betas and then
24 estimating the thirty (30) day return. So, the
25 Treasury Bill yield, thirty (30) day Treasury Bill

1 yield was the a risk-free rate and the betas were
2 not adjusted, they were the actually betas. So,
3 when we estimate that, the ECAPM, if you're going
4 to estimate it consistent with the empirical
5 result, you should use unadjusted betas and you
6 should use the Treasury Bill yield. If not, what
7 you're estimating has nothing to do with the
8 Empirical Capital Asset Pricing Model.

9 So, that is not what Dr. Villadsen does and
10 it's not what her mentor, Dr. Vilbert did back in
11 two thousand and nine (2009). And at that point, I
12 ask Dr. Vilbert: please estimate the ECAPM in the
13 way that it was tested. And next slide, please.

14 And Dr. Vilbert answer -- in the interest
15 of time I will only read the first line :

16 The results of the requested estimates
17 would all be economic nonsense...

18 So, in two thousand and nine (2009), Dr. Vilbert
19 was asked to estimate the ECAPM in the way it was
20 estimated that justifies his use of the ECAPM, and
21 he said it would be nonsense if he did that. The
22 reason is that the Treasury Bill yields were so low
23 and he didn't even use adjusted betas. If he used
24 adjust... Sorry, he did use adjusted betas. If he
25 didn't use adjusted betas the results would be more

1 nonsense. So, next slide, please.

2 Dr. Morin presented this in two thousand
3 eleven (2011). He presented ECAPM estimates and the
4 Régie said:

5 The Régie has already ruled on the
6 ECAPM. In the Régie's view, there is
7 no new information that would warrant
8 a reconsideration of this model.

9 And there was no new information in Dr. Villadsen's
10 evidence. She is using exactly the same references
11 that Dr. Vilbert used thirteen (13) years ago,
12 there's nothing new that she has presented. And I
13 would suggest that if she hasn't presented any new
14 evidence, then if she actually implemented the
15 ECAPM in the way that it was tested, her results
16 would be nonsense as well.

17 Now, I did correct this in my testimony on
18 page 57, for some reason I copied in the wrong
19 quote from the Régie. So, this is the quote that's
20 in the beginning of my report, and that's the quote
21 that I meant to... to enter. And in the quote below
22 I reference Dr. Morin and I should've represent...
23 reference Dr. Vilbert. So, these are the
24 corrections on my testimony.

25 So, that's the Capital Asset Pricing Model.

1 The ECAPM, they're not... Dr. Villadsen is not
2 estimating it the way that it was estimated and
3 there's no justification for adjusting betas. Okay.
4 Next slide, please.

5 Now, one thing that has changed over the
6 last five to ten years is that a lot of the
7 investment banks have put their expected long run
8 returns on their web pages. They use it basically
9 as advertising, to try to get people to look at
10 their forecast and use them for asset managers to
11 think in terms of asset allocation.

12 The TD's forecast in two thousand and
13 sixteen (2016), so that's a little bit out of date
14 now and my... I actually got the two thousand
15 nineteen (2019) report that I became aware of
16 recently, and at that time in two thousand and
17 sixteen (2016), if you look at the S&P Composite,
18 long run expect rate of return seven percent (7%),
19 S&P 500 seven percent (7%), MSCI Europe, Africa,
20 Far East seven percent (7%), government of Canada
21 bonds three point five percent (3.5%), the
22 difference to market risk premium three point five
23 percent (3.5%). Now, this is a low run risk
24 premium, what we might say is compound returns, I
25 don't recommend doing that, I recommend that

1 they'll be adjusted to arithmetic return similar to
2 my market risk premium estimates and they get up to
3 the normal range of five to six percent (5-6%). But
4 the point is the low run returns were about seven
5 percent (7%). Next slide, please.

6 I provided several of these in my evidence,
7 I didn't want to present all of them. All I've got
8 here is Blackrock. Blackrock is the biggest fund
9 manager in the world and basically they manage
10 trillion of dollars of funds and they produce a
11 long run forecast, and this is taken directly from
12 their web page, and if you drop down into the
13 middle of those green lines where they have equity
14 returns, you see US Equities and a round dot is the
15 middle of the... the range of possible values and
16 that looks to be about seven point five percent
17 (7.5%), consistent with the... the forecast of TD,
18 a forecast marginally greater but not materially
19 greater than large cap stocks.

20 And similarly government bonds down there
21 in yellow, is about two, two and a half percent
22 (2-2.5%), their forecast for long run returns. And
23 these are long run returns, they're thirty (30)
24 year returns because when we're looking at the
25 market risk premium, we cannot think in terms of

1 the next three or four or five years, we're talking
2 about holding equities for a long period of time.
3 So, that's just extra information that's out there.
4 So, next slide, please.

5 So, these are my overall estimates and I
6 found a second typo, I'm sure there are other typos
7 in my report, but the top line seven, it's should
8 be six point five five to seven point one percent
9 (6.55-7.1%) and one and four are very close on the
10 numeric keypad and I must've hit four by mistake,
11 but it doesn't affect any of my estimates.

12 So, there's my CAPM or my risk premium
13 estimate on the first block, and the second is all
14 of the discounted cash flow and the other
15 information that I look at: equity market returns
16 eight to nine percent (8-9%), the average Canada
17 return on equity from Statistics Canada nine point
18 seven eight percent (9.78%), asset manager long run
19 expected return seven to nine percent (7-9%), DCF
20 equity cost for the S&P 500 Utilities subindex six
21 point eight to six point nine (6.8-6.9), DCF equity
22 cost for gas US utilities seven point two five
23 percent (7.25%).

24 When I come out to my recommendation, I
25 look at the variety of indicators, and now that we

1 have all of this extra information, there's no
2 justification for just looking at, say a DCF
3 estimate, or just looking at Capital Asset Pricing
4 Model. Next slide, please.

5 Now, I'm afraid this is what was really
6 added to my presentation. The last time I was here
7 for Gaz Métro, I didn't need to do this, because
8 Dr. Morin did not use ATWACC. And here we've got my
9 summary of Dr. Villadsen's estimates. The Ps
10 indicate the pages where I extracted that
11 information. For example, she's got a DCF constant
12 growth model nine point nine percent (9.9%),
13 multi-stage eight point seven (8.7), CAPM seven
14 point six (7.6), ECAPM seven point seven (7.7).

15 So, as I mentioned, CAPM and ECAPM use
16 adjusted betas and ECAPM I don't accept. So, that's
17 why they're slightly higher than mine, but if you
18 took that out, they'd be very similar to mine. The
19 DCF multi-stage is better than the DCF constant
20 growth because that doesn't assume that, I'm
21 realistic, short run growth estimate go on to
22 infinity as they can't.

23 But the critical thing is she derives what
24 I call leverage adjustments, and she refers to them
25 as leverage adjustments as well. The way she does

1 this is she estimates the ATWACC, the After-Tax
2 Weighted Average Cost of Capital, using market
3 value weight and she then bumps them up by
4 relevering them using book value weights. So, her
5 ten percent (10%) or nine point nine percent (9.9%)
6 DCF becomes twelve percent (12%), a two percent
7 (2%) bump. Her DCF multi-stage eight point seven
8 (8.7) gets bumped up to ten point five (10.5). Her
9 CAPM seven point six (7.6), a smaller bump but
10 still a bump to eight point five percent (8.5%),
11 and a ECAPM seven point seven (7.7) to eight point
12 seven percent (8.7%).

13 So, it's important to understand where
14 these bumps come from because her direct estimates
15 of the fair rate of return using the same sort of
16 techniques as I use and other witnesses use are
17 significantly lower. So, next slide, please.

18 The first board that was subject to this
19 was the Alberta Energy... Energy and Utilities
20 Board in nineteen ninety-nine (1999), twenty-three
21 (23) years ago and I recorded this because this it
22 the core of what she does:

23 In essence, a regulated company's
24 earnings are driven by the portion of
25 the original cost rate base deemed to

1 be financed by common equity. This
2 fact results in a fundamental
3 disconnect to the theory that market
4 capitalization ratios, which have
5 deviated significantly from book
6 capitalization ratios, reflect the
7 appropriate financial risk necessary
8 to determine a fair composite return
9 to be applied to the original cost
10 rate base of a pure play regulated
11 utility.

12 That's a very long sentence, but the AUC is saying
13 basically: we're not going to pay that much
14 attention to the market value weight. The
15 appropriate weights are the book value weights. And
16 they go on to say:

17 This is because the earnings of a pure
18 play regulated utility are governed by
19 and driven by the regulated return
20 allowed on book equity.

21 In other words, it is the book equity that reflects
22 the appropriate financial risk necessary to
23 determine a fair composite return for a pure play
24 regulated utilities.

25 Now, as far as I'm aware, only Brattle

1 witnesses use this methodology in Canada. There may
2 be others in the Unites States but I'm not aware of
3 them. And neither Dr. Chrétien nor Dr. Morin made
4 these leverage adjustments in two thousand and
5 seven (2007) and two thousand eleven (2011). So,
6 this is something unique to the Brattle group. Next
7 slide, please.

8 So, how do they do this? Well, this comes
9 directly from Dr. Villadsen's testimony. She takes
10 the DCF equity cost, which as far as I'm concerned
11 is the end, that's what you're estimating, that's
12 what the AUC says you estimate a market determined
13 equity cost that apply to book value. And then, if
14 you notice column 4, it says DCF Common Equity to
15 Market Value, column 6 says Preferred equity to
16 Market value, column 8 says Debt to Market Value.
17 So, these are all using market value capitalization
18 rates that the AUC rejected, and she calculates the
19 weighted average cost of capital.

20 Now, in two thousand and nine (2009) this
21 was what Dr. Colby referred to as the After-Tax
22 Weighted Average Cost of Capital, ATWACC, and it's
23 what the Régie rejected ATWACC. And it's
24 interesting to note that she doesn't refer to it as
25 ATWACC, she's changed the terminology, it's now

1 weighted average tax... Weighted After-Tax Cost of
2 Capital, but that's exactly the same, it's the
3 ATWACC. In fact, this exhibit is a parallel one in
4 Dr. Vilbert testimony in two thousand and nine
5 (2009). So, if we go to the next slide.

6 What is ATWACC? I taught this in my
7 business finance course just a couple of weeks ago.
8 It is totally standard to estimate the ATWACC, it's
9 the minimum rate of return a firm's investment have
10 to earn in order to increase market value, it's the
11 very basis of what we call shareholder value
12 maximization. So, if a firm earns less on an
13 investment than its ATWACC, its stock market value
14 falls.

15 There's a disconnect between the ATWACC and
16 regulation. Regulation is not designed to increase
17 shareholder value, it's designed to protect
18 ratepayers from the exercise of market power. It is
19 not designed to maximize shareholder value. So, the
20 very essence of calculating an ATWACC, I regard, is
21 incompatible with the reason why we regulated
22 utilities, which is they have market power, and
23 without regulation they would undoubtedly abuse
24 that market power and generate social losses. So,
25 if we go to the next slide, please.

1 And here is the crux of what ATWACC does,
2 which is that she derives an ATWACC using market
3 values and I have no problem with doing that. What
4 I have problems with is using that market value
5 ATWACC and then saying well, it's constant, and
6 it's not constant, but she assumes it's constant
7 and say, well what happens if instead of having
8 forty-nine percent (49%) common equity in the
9 market value weight we have forty percent (40%)
10 common equity. And clearly, if five point six
11 percent (5.6%) is constant, the cost of the debt is
12 constant, the tax rate is constant, if you just
13 reduce the equity you have to get a higher return
14 on equity to satisfy five point six percent (5.6%).
15 This is arithmetic, it's not financial theory, it's
16 the assumption that she makes that somehow you can
17 take a market value, ATWACC, and apply it to a
18 utility at the same level we book value weight, and
19 that's what the Alberta Utility Commission
20 rejected.

21 But it's in this way that an eight point
22 seven percent (8.7%) equity cost, which I would
23 regard as marginally high for the multi-stage
24 model, becomes a ten point five percent (10.5%)
25 ROE, and that's what the Alberta Utility Commission

1 rejected.

2 In regard of the next slide, it's what the
3 Régie rejected and you should think about what
4 would happen if you believed Dr. Villadsen's ATWACC
5 and you said: well okay, we're going to increase
6 the allowed ROE from eight point nine percent
7 (8.9%) to ten point five percent (10.5%).

8 Well already the stock prices of all of the
9 firms in Dr. Villadsen's sample exceed their book
10 value, the market weights are greater than their
11 regulated weights. So, the price to book exceeds
12 one. If you get a bump in your ROE, the stock
13 prices are not going to go down, the stock prices
14 are going to go up, and then you get an even bigger
15 equity capitalization and the ATWACC would go up,
16 and the result is you then apply the technology
17 again, the ROE goes up again. This is great for
18 shareholders, but it is a fundamental disconnect
19 between the way which we regulate utilities.

20 When we see a market to book ratio or a
21 price to book ratio above one, automatically we
22 think the allowed or fair rate of return should be
23 lowered, we don't think it should be increased. And
24 this technology, this methodology, basically does
25 exactly the opposite of what most economists would

1 think about in terms of regulation, that we should
2 remove economic rents and get prices a little bit
3 above the book value, not give a higher allowed ROE
4 that increases the market to book ratio. Okay, next
5 slide, please.

6 Now, Dr. Villadsen added what she calls her
7 Hamada adjustment. So, you have to go back to what
8 she originally does. This is... Sorry, I didn't
9 mean actually to go back, so you can go to slide
10 forty... thank you. So, here are her estimates of
11 the direct CAPM estimates, risk-free rate two point
12 four seven (2.47), Bloomberg betas, which I think
13 we've established they're not Bloomberg betas, they
14 are betas that she estimated from Bloomberg
15 betas... from Bloomberg data. The long term market
16 risk premium, which is not very different from
17 mine, and then the CAPM and the ECAPM estimates.

18 Now, notice for TC Energy, TransCanada, the
19 beta is one that she derives and the ECAPM and CAPM
20 are exactly the same, as they should be. It's only
21 for a high beta's stock AltaGas, and AltaGas is...
22 no longer got regulated Canadian utility
23 operations, it sold its Alberta operations to
24 finance the acquisition of WGL in the United
25 States. These primaries two got some... some

1 pipelines, feeders pipelines that feed the
2 mainline, but it's got a beta of over one and as a
3 result, you look at it and you see the CAPM
4 estimate is too high and the ECAPM estimate is
5 lower. But all of the others, for example for Hydro
6 One, beta of point seven one (0.71), the use of the
7 ECAPM bumps up the... the fair rate of return. So,
8 that is what the ECAPM does, it increases the cost
9 for low beta's stocks.

10 And as I said theoretically or empirically
11 that's correct, but in practice you have to do it
12 in a way consistent with the empirical result,
13 which is what she does not do.

14 But even so, her estimates CAPM and ECAPM
15 seven point six (7.6), seven point seven (7.7)
16 they're very, very close to my own estimates, and
17 in particular her market expected return is simply
18 the risk-free rate plus the long term market risk
19 premium, eight point one five percent (8.15%).

20 And if you believe that part of Dr.
21 Villadsen's evidence, then you're basically saying
22 the return for a low risk utility should be less
23 than eight point one five percent (8.15%). Next
24 slide, please.

25 This is what she ends up with. Now, I've

1 noticed, no two things here first. Énergir has
2 forty-six percent (46%) common equity, the seven
3 point five percent (7.5%) preferred shares that are
4 deemed, as far as the rating agencies and everyone
5 else is concerned is common equity and only does
6 his lower the overall allowed return on the common
7 equity. So, forty-six percent (46%), you wouldn't
8 expect this leveraging to do anything, and if you
9 notice, it doesn't do anything.

10 So, if you look a scenario 1, and I reject
11 scenario 2 because that eight point five zero five
12 percent (8.505%) market risk premium is higher than
13 any survey results from over a thousand people
14 responding to Fernandez's survey.

15 So if you leave their fair rate of return
16 as based upon forty-six percent (46 %) equity which
17 is my recommendation, her CAPM, ECAPM are
18 indistinguishable from my seven point five percent
19 (7.5 %) recommendation. She has seven point six
20 (7.6) and seven point seven (7.7). Her Hamada
21 adjustments make really tiny differences because
22 the leverage is basically exactly the same.

23 The forty percent (40%) deemed common
24 equity. I am confused here, I thought her
25 recommendation was forty-three percent (43%) common

1 equity. Using a forty percent (40%) simply gets a
2 high leverage adjustment.

3 So, at forty-three percent (43%), it would
4 be clearly be in-between the forty (40) and the
5 forty-six percent (46%). So next slide, please.

6 How did she get this? Well, she does
7 exactly the same thing as in ATWACC. She uses the
8 market value equity weights. And we can see that in
9 column 3, Common equity to Market value, we can see
10 it in column 4 Market value, we can see it in
11 column 5, Market value and she has the income tax
12 rate the same as the ATWACC. All she is doing here,
13 is calculating what we call the asset beta or the
14 equity cost to an unlevered firm.

15 But she is doing it using market value
16 weights, exactly the same as she is calculating
17 ATWACC, using market value weights.

18 And I discussed this in Appendix E to my
19 testimony, the only thing different, is I use a
20 more conventional way of talking about the asset
21 beta as the unlevered equity cost rather than
22 calling it an unlevered or asset beta. So that is
23 really just a difference in notation.

24 But the critical things, is she's using
25 market value weights and that means that this asset

1 beta is higher than it should be. Okay, so go to
2 the next slide.

3 The second is the relevering exercise. So
4 the Dr. Villadsen relevers the betas, using the
5 regulated book values. This is exactly the same as
6 using a constant ATWACC with book value.

7 The core of this is market value estimation
8 and in book value revaluing the fair return.

9 Now, she does not get as much of a bump
10 from this, because the betas don't go very much.
11 But what we have got here is what I refer to as a
12 double adjustment. First of all, she adjusts the
13 betas upwards to about point nine (.9) and then,
14 she does the leverage adjustment, which given the
15 capital structures are not that much different.
16 Only get her a bump from point nine (.9) to one
17 point zero one (1.01) or one point zero five
18 (1.05).

19 But the critical thing is Dr. Villadsen is
20 assuming that with these adjustments, Canadian
21 utilities, Énergir, and not just Énergir, but any
22 Canadian utility, because there is nothing in this
23 that says Énergir, is basically high risk than the
24 stock market, which I simply don't accept.

25 Next slide, please. So with these Hamada

1 unlevered equities, to column 2, she says unlevered
2 equity, I think that is incorrect, that is the
3 relevered beta from the previous slide, so that is
4 incorrect, but she then estimates the fair rate of
5 return, using the CAPM and the ECAPM with these
6 double adjusted betas to get eight point four
7 (8.4), eight point five (8.5), eight point two
8 (8.2) and as I said, this does not do a lot for her
9 estimates, because the capital structure weights
10 are not that different, but this is essentially
11 exactly the same methodology, market value weights
12 to estimate book value weights to relever as in the
13 ATWACC.

14 Next slide, please. So what did the Régie
15 say about this in two thousand and nine (2009)?
16 First of all, I quote the Alberta Energy and
17 Utilities Board, they explicitly said:

18 We would be derelict in exercising
19 their statutory responsibilities to
20 accept ATWACC based leveraged
21 adjustments.

22 And I will say that again, because I have never
23 ever seen a methodology rejected by a regulatory
24 board saying they "would be derelict to accept"
25 this particular process. But the Alberta AUB as it

1 then was, said that they would be derelict to
2 accept this process of relevering betas and using
3 the ATWACC.

4 And the Régie, when faced with this in two
5 thousand and nine (2009) again said:

6 ... conceptual difficulties involved
7 in applying the ATWACC according to
8 market values.

9 So it is the market values that is driving these
10 underlying results in the ATWACC and it is the
11 market values that is driving the underlying
12 results in her leverage adjustments to the CAPM and
13 the ECAPM.

14 And the Régie rejected this in two thousand
15 and nine (2009) but the Hamada adjustments,
16 leverage adjustments, are essentially doing exactly
17 the same thing, only it's not as powerful in
18 changing her allowed ROEs as using the constant
19 ATWACC.

20 Okay, final slide, please. So what's my
21 conclusion? My conclusion is there is no evidence
22 for increased business risk by the Québec
23 Utilities, certainly at this point in time, there
24 are increased risks out there, but the question the
25 Régie has to address is: will all these risks that

1 would actually be reflected and be born by the
2 utility, or will they be born by ratepayers? And
3 the experience of the allowed versus the actual
4 ROE, is that invariably, these are risks that even
5 if they materialize, get reflected and born by the
6 ratepayers, not born by the utility.

7 No evidence for materially increased betas
8 or market risk premium, significant evidence that
9 there are real problems in the long Canada bond
10 market. And as a result the forecast long Canada
11 interest rate, I don't regard as a good base for a
12 CAPM fair rate of return.

13 When you are looking at this, sometimes you
14 have to fall back on common sense and common sense
15 is a risk hierarchy. Which is to say: if you
16 believe that the regulated utilities in Canada are
17 lower risks than the overall stock market, which is
18 what their betas indicate, then their fair rate of
19 return should be lower than the overall stock
20 market return.

21 And substantial evidence, I will refer to
22 TD and Blackrock, but my evidence has got J.P.
23 Morgan, Northern Trust, Duff and Phelps, I have not
24 found anybody that has a forecast overall long run
25 return on the capital market about nine percent

1 (9%). Which means that there is sort of a limit on
2 a fair rate of return for regulated utilities.

3 And I will say again, absent adjusted
4 betas, absent the ECAPM and absent leverage
5 adjustments, I should have put in there with book
6 value weights, all of which the Régie has rejected,
7 Dr. Villadsen's direct estimates are now higher
8 than mine, or not materially higher than mine. They
9 are certainly narrower than my estimates eleven
10 (11) years ago, relative to Dr. Morin's, who didn't
11 used ATWACC.

12 Q. [6] So thank you, Dr. Booth, I have no further
13 questions. So he is available for cross-
14 examination.

15 Me PATRICK OUELLET :

16 Donc, je suis à votre disposition, je peux
17 commencer maintenant ou on peut prendre la pause,
18 je laisse ça à votre discrétion, c'est comme vous
19 voulez.

20 LE PRÉSIDENT :

21 On peut continuer, on peut faire...

22 Me PATRICK OUELLET :

23 Parfait.

24 LE PRÉSIDENT :

25 ... une bonne demi-heure, là.

1 Me PATRICK OUELLET :

2 Oui, oui, absolument.

3 LE PRÉSIDENT :

4 Dr. Booth, I see that your picture is frozen on the
5 screen, so maybe if you can try to put your camera
6 off, then on, to see if it can solve the problem.

7 Yes, that's good, thank you.

8 Me PATRICK OUELLET :

9 Je réalise que j'étais à « mute », mais j'avais
10 demandé à madame la greffière de retirer la
11 présentation. Donc, c'est parfait.

12 CROSS-EXAMINED BY Me PATRICK OUELLET:

13 Q. **[7]** Dr. Booth, good morning.

14 A. Good morning, Mr. Ouellet.

15 Q. **[8]** So, I will have several questions for you, this
16 morning and most likely this afternoon. If, at any
17 point in time, my question is not clear, feel free
18 to ask me to repeat or reformulate. Sometimes I
19 have, I use French expressions in my English, so it
20 is not always easy to understand. If that happens,
21 let me know.

22 R. Well, we will see.

23 Q. **[9]** Great. Now, can you please turn to page 26 of
24 your evidence? La pièce C-ACIG-0037.

25 R. Yes.

1 Q. **[10]** Donc, Madame la Greffière, est-ce que vous
2 voulez la mettre sur... on va attendre, we will
3 just wait for the clerk to add that on the screen.
4 So that would be page 26 of... the actual page
5 number at the bottom, so that it would be... okay.
6 Here we are.

7 Okay. So, I first like to discuss interest
8 rates, Dr. Booth. So you'll agree with me that the
9 risk-free rate is a key input into the Capital
10 Asset Pricing Model?

11 R. Absolutely.

12 Q. **[11]** Now, on the middle of page 26 of your added
13 answer, what we see in the middle of that page, is
14 a screenshot from the Bank of Canada's website,
15 correct?

16 R. Correct.

17 Q. **[12]** And that was taken before the finalization of
18 your expert evidence on April eight (8) of twenty
19 twenty-two (2022). Correct?

20 R. Yes, it's the last one that I had...

21 Q. **[13]** Okay.

22 R. They update it once a month.

23 Q. **[14]** So it was the most recent one, at the time
24 that your expert report was published, is that
25 correct? Okay.

1 R. And it is now gone up.

2 Q. **[15]** Well, I think you see me coming. So we will
3 look at how those numbers had moved, since the
4 filing of your report. So, you do agree with me
5 that all the figures' listed, shown here on the
6 middle page 26, have all gone up, since your report
7 was filed?

8 R. That' correct.

9 Q. **[16]** Okay. Now, I would like to show you...

10 R. Canada is a bit lower than the U.S. and the U.K.
11 The U.K. is now at nine percent (9%), the U.S., I
12 think, the last one was eight point seven percent
13 (8.7%) and we are expecting seven percent (7%)
14 headline CPI coming up this week.

15 Q. **[17]** I appreciate your comments, Dr. Booth, but I
16 haven't asked you a question.

17 R. Oh, sorry.

18 Q. **[18]** Okay. So I want to show you what we have
19 called exhibit B-0365. Donc, est-ce qu'il serait
20 sur le... j'avais compris qu'il avait été ajouté
21 sur le SDÉ?

22 Me PAULE HAMELIN :

23 Je ne le vois pas, encore.

24 LE PRÉSIDENT :

25 Effectivement, on l'a.

1 Me PATRICK OUELLET :

2 Donnez-moi juste une petite seconde, je vais
3 consulter maître Cloutier, là. We will just let
4 madame St-Cyr... Give her time to find the
5 documents, so it's B... it is there, I am told it
6 is there. B-0365. Okay.

7 Q. **[19]** At any point in time, Dr. Booth, if I show you
8 a document on the screen and you want time to
9 review it before I ask my question, you let me
10 know.

11 R. I will.

12 Q. **[20]** Okay. So, what we see here is an extract of
13 the Bank of Canada's website which is the latest
14 one, dated June or, it was taken on June 7th. So
15 you agree with me that these are the actual
16 figures. So the policy interest rate now is one
17 point five percent (1.5%).

18 R. Yes.

19 Q. **[21]** As opposed to zero point twenty-five percent
20 (0,25%) as it stood when your report was filed,
21 correct?

22 R. I'd have to check to say exactly what it was, when
23 it was filed, but it is certainly, certainly one
24 point five percent (1.5%) now and it has gone up.

25 Q. **[22]** Okay. Now, but what we see on page 26 of your

1 report, I thought it was the most recent data, at
2 the time of the filing of your report?

3 R. That's correct.

4 Q. **[23]** Okay, so if we go back to page 26, we will see
5 zero point twenty-five (0.25)? No, 26 of the
6 evidence, the one we were on before, yes.

7 R. That's correct. This was the last time that I...
8 dealing with IGUA required going backward and
9 forward with clients, and in previous hearings, I
10 basically filed my testimony myself, without having
11 to sort of draft testimony and then getting
12 feedback. So this was what I had in my report, when
13 I prepared my report that went to IGUA and then
14 there was some feedback in terms of spelling typos
15 and presentation. So I did, so I did not have time
16 to make changes by the time it was filed.

17 Q. **[24]** Okay, so this was not the latest data
18 available at the time of the filing of your report.
19 Is that correct?

20 R. That's correct. It was the latest data that I had
21 when I prepared my report and I submitted it to
22 IGUA.

23 Q. **[25]** Okay. And then you did recheck the data to
24 have the most actual one at the time of the filing
25 of your report. So that would be February data. Is

1 that correct?

2 R. That's correct. It's a significant amount of
3 rewriting and redoing in a short period of time.
4 It's like chasing your tail, Mister Ouellet. So
5 it's... And I note for example, the testimony filed
6 by the Brattle group similarly the deadline in
7 terms of the date on the document is not the date
8 of the data. Unfortunately when it get a little bit
9 bureaucratic it's more difficult to, to control
10 your own testimony. In term of filing.

11 Q. **[26]** Yes, but you did hear doctor Villadsen's
12 testimony and she corrected her data to make it
13 most up to date at the time she testify. You did
14 not correct the data.

15 R. I've not corrected it because as I told you before,
16 I've not changed my overall fair rate of return
17 until we hit a three point eight percent (3.8%)
18 long Canada bond yield.

19 Q. **[27]** O.K. So, so...

20 R. We're still a long way away from there.

21 Q. **[28]** So, we'll do the correction. We'll look at
22 these information. So the...

23 Me PAULE HAMELIN :

24 Maître Ouellet, j'aimerais juste que vous laissiez,
25 please let the witness answer the question because

1 you interrupted him when he wants to answer.

2 Me PATRICK OUELLET :

3 Vous avez raison Maître Hamelin, je m'en excuse,
4 j'ai été un peu prompt. Mais j'ai quand même laissé
5 le témoin terminer. J'ai tendance à vouloir poser
6 ma question vite, mais je vais faire un effort pour
7 ne pas le refaire.

8 Me PAULE HAMELIN :

9 Sinon je vais revenir. Vous allez le savoir.

10 Me PATRICK OUELLET :

11 Vous serez la bienvenue de le faire, il n'y a pas
12 de problème.

13 Q. **[29]** So, let's look at the information, Dr. Booth.
14 What I want to do is I want to compare the
15 information we had in your expert evidence to the
16 most up-to-date information. So, the policy
17 interest rate went up by six hundred percent (600%)
18 since the filing of your report. So from zero point
19 twenty-five (0.25) until one point five percent
20 (1.5%)?

21 R. Yes, I prefer to say it's one point two five
22 percent (1.25%), rather than six hundred percent
23 (600%).

24 Q. **[30]** But, do you deny, do you deny this is a six
25 hundred percent (600%) increase?

1 R. Well, that's one way of expressing it but if I was
2 to go on the media, as I've done several times and
3 say the policy interest rate increased by six
4 hundred percent (600%), jaws will drop. That's not,
5 that's not the way we express it. So,
6 mathematically you're correct but that would be a
7 misleading interpretation of the number.

8 Q. **[31]** So, doing the maths you're suggesting is
9 misleading?

10 R. Frequently it's misleading, yes

11 Q. **[32]** Okay.

12 R. You got very low numbers then a small increase gets
13 compounded in a very big percentage increase. For
14 example, if the policy rate was like in the United
15 States, where they give a range where the lower
16 bound was zero any increase is a phenomenal
17 increase from zero.

18 Q. **[33]** Okay. I will show you now a document B-0366.
19 Madame la Greffière, B-0366. So, maybe for
20 everyone's sake including mine, if you could make
21 this a little bit bigger? Okay.

22 So, you see this document. You're familiar
23 with this Dr. Booth? An extract of the Bank of
24 Canada website?

25 R. Well, I'm familiar with Bank of Canada website and

1 I'm familiar with these numbers, correct.

2 Q. **[34]** Okay. So, we can see, and this is a... in the
3 chart to the right, we see the policy interest rate
4 changes. And, we have the zero point twenty-five
5 (0.25) that you have in your report so that's
6 January twenty-six (26), two thousand and twenty-
7 two (2022). So that's the figure we have at page
8 26. Now you'll agree with me that on March 2nd, the
9 policy interest rate had doubled. Going from zero
10 point two five (0.25) to zero point five (0.5).
11 That's correct?

12 R. That's correct. It's going up twenty-five (25)
13 basis points, it's correct.

14 Q. **[35]** Yes. And so, that happened over a month before
15 you filed your expert evidence? Correct?

16 R. That's correct.

17 Q. **[36]** Okay. And you didn't think of changing the
18 data on page 26 for data that had been available
19 over a month before you finalise your evidence?

20 R. No. Because it wouldn't had changed my
21 recommendations.

22 Q. **[37]** It wouldn't have changed your recommendations.
23 Okay. Some these numbers here, they don't change
24 your final figure at seven point five percent
25 (7.5%), that's what we should to understand? Okay.

1 But, but since you're putting the data in your
2 testimony, didn't you think it appropriate to give
3 the actual accurate data?

4 R. I think you're actually correct, perhaps I could
5 have gone through and redrafted that. But as I
6 explained to you, I provided my testimony to IGUA
7 and I wrote it in part, and as you probably counted
8 the pages, it's about two hundred (200) pages, in
9 terms of my testimony. And I drafted one, move on
10 to another and then send them to IGUA and got some
11 comments stylistically. And I think, that you're
12 probably right that I could had gone back and
13 change that, but then it would had gone back and
14 they would have generated another round of changes.
15 So, I was warned to... this testimony there will be
16 more interaction with counsel and members of IGUA
17 because there are other bodies looking at my
18 report. So I'd a hundred percent (100%) agree with
19 you that perhaps I should have done it. And I would
20 have done it, for example, in two thousand eleven
21 (2011), when nobody looked at my evidence. I wrote
22 my evidence and could submit it without anybody
23 looking at it. I don't think Guy, at that time the
24 lawyer, ever read it before I submitted it.

25 Q. [38] Okay.

1 R. So, I apologies for that, but you're right.

2 Q. **[39]** No... Thank you for that Dr. Booth. And the
3 reason why I'm asking this question, is if you look
4 at page 7 of your evidence...

5 R. Yes.

6 Q. **[40]** It's footnote 2. I don't know if we
7 necessarily need, if we do need to put it on the
8 screen, but, at footnote 2, you referenced a
9 decision rendered on March thirty first (31st) of
10 twenty twenty-two (2022). So I would have thought
11 that your data was actually up-to-date since at
12 least that date. Since you, you refer to something
13 of March thirty first (31st), so did you adjusted
14 some of the data but not all of it?

15 R. I think it's fair to say that when something
16 important comes out that affects my testimony, then
17 I will put that in. That's correct. As I thought,
18 the Régie... it was much more important that the
19 Régie be aware of the Alberta Utilities Commission
20 in determining the fair rate of return and capital
21 structure, than that the overnight increases
22 twenty-five (25) basis points. But.. with, with...
23 For example, if, if I refiled my testimony now, and
24 put in March thirty first (31st) in the screen
25 capture, wouldn't change anything in my testimony.

1 But the Alberta Utilities Commission's decision,
2 that I think the Régie should be aware of it.

3 Q. **[41]** If we can go back to the document I initially
4 showed the witness B-0365. So, I want to go back to
5 the June seventh (7th) data, Doctor Booth. That I
6 showed you originally.

7 R. Yes. This is my own testimony, page 26?

8 Q. **[42]** Yes. With, with the actual data from June.

9 R. Okay.

10 Q. **[43]** So you have this, and if we could have in
11 front of the witness as well the 0365. Peut-être
12 juste pour vous donner une indication, Madame la
13 Greffière, je vais revenir souvent à la page 26 du
14 rapport du docteur Booth quand je vais aller d'un
15 document à l'autre. So I'm just advising the Court,
16 Doctor Booth, that I will come back to page 26 of
17 your report several times. Okay.

18 So here you have the June seventh (7th)
19 data. So, we look at the spike in the policy
20 interest rate. I'd like to look at inflation. So
21 the data you had, at page 26 of your report, CPI
22 Inflation stood at five point one (5.1) now it has
23 increased to six point eight (6.8). Is that
24 correct?

25 R. Yes, that does indicate that that's the case. But,

1 as I said I think it could be seven point three
2 (7.3%) next time it's released.

3 Q. **[44]** Well, that's just save me a question for you
4 so, I think we agree on that. So it's supposed to
5 increase again, it's what the forecast say.
6 Correct?

7 R. Right.

8 Q. **[45]** Okay. Now the CP... you have what you refer in
9 your report as three core measures for inflation.
10 So those also rose. So CPI Trim went from four
11 percent (4%) to five point one percent (5.1%).
12 Correct?

13 R. Well, yes. These are the Bank of Canada's measures.
14 They don't like to look at headline CPI because it
15 contains a lot of volatile items. But there are
16 transitory. So, CPI Trim just trim the high and the
17 low values, the Median Peak the middle value and
18 CPI-common is, I think is what's called a principle
19 component to adjust the estimate of the underlying
20 values. Different measures trying to get at the
21 core rate of inflation.

22 Q. **[46]** We see another example of what maître Hamelin
23 was referring to. I almost interrupted you there.
24 I'll be careful not to do it. So, you agree with me
25 that all three core measures of CPI, so Trim went

1 from four (4) to five point one (5.1). Median went
2 from three point three (3.3) to four point four
3 (4.4) and CPI-common went from two point three
4 (2.3) to three point two (3.2). Correct?

5 R. Yes. That's the concerning event, Mister Ouellet.
6 Because when you look at this, what the Bank is
7 concerned about is the temporary inflation
8 contaminating wages increases and catch up on
9 unions and things and as a result getting embedded
10 in core inflation. So the concerns is not the
11 headline inflation rate. Because that really
12 affected by food stuff, particularly in
13 commodities' prices, particularly in oil and gas.
14 But it's these core measures and want to stop...
15 They just signed an agreement on December
16 seventeenth (17th) basically maintaining inflation
17 in a one to three percent (1-3%) range.

18 Q. **[47]** Again, this is very interesting but just maybe
19 focus on my question.

20 R. Okay. Sorry.

21 Q. **[48]** We saw earlier that there was a policy rate
22 increase on March second (2nd). Which was not
23 referred to into your report. We saw the June
24 seventh (7th) as well, already. You do recall that
25 there was another policy interest rate increase on

1 April thirteenth (13th), of twenty twenty-two
2 (2020). Is that correct?

3 R. That's correct.

4 Q. **[49]** Okay. So that's five, to be fair, that's five
5 days after your report was filed. So obviously you
6 could not have that data in your report. Now I'd
7 like to go to document B-0367. So what I'm going to
8 show you, Dr. Booth, is a press release from the
9 Bank of Canada, on April thirteenth (13th). So the
10 second to last increase of the policy interest
11 rate. Donc 0367.

12 Let me know if you want me to give you time
13 to read the document. My questions are on the last
14 paragraph, at the second page. But if you want to
15 read the entire thing, feel free but my questions
16 are on just before the Information note there: With
17 the economy. You see that? Just let me know when
18 you've read the document.

19 R. Okay. That's fine. I've read this before.

20 Q. **[50]** Okay. So this is the press release that was
21 released by the Bank of Canada when it increased
22 the policy interest rate by fifty (50) basis points
23 on April thirteenth (13th). So what I want to look
24 at with you, is... I'll read the paragraph:

25 With the economy moving into excess

1 demand and inflation persisting well
2 above target, the Governing Council
3 judges that interest rates will need
4 to rise further.

5 So, that was April thirteenth (13th) so obviously
6 you'll agree with me that it was not a surprise to
7 you when there was another increase in June?

8 R. Not really and I've been on the television in the
9 last several days talking about interest rate
10 increases.

11 Q. **[51]** Yes.

12 R. So that didn't surprised me at all.

13 Q. **[52]** Now, we continue:

14 The policy interest rate is the Bank's
15 primary monetary policy instrument,
16 and quantitative tightening will
17 complement increases in the policy
18 rate. The timing and pace of further
19 increases in the policy rate will be
20 guided by the Bank's ongoing
21 assessment of the economy and its
22 commitment to achieving the 2%
23 inflation target.

24 So, you do agree with me that... strike that
25 question. I wanted to show you that, I wanted to

1 show you this press release and compare the wording
2 with the June first (1st) press release. So I'll
3 show you now document 0368. B-0368. So I want to
4 compare the language in the April thirteenth (13th)
5 with the language in the June first (1st). Again in
6 the same paragraph, the last one. So I'll just
7 highlight with you Dr. Booth -- Let me know if you
8 want time to read this?

9 R. No. I notice that the words are very very similar.

10 Q. **[53]** Yes. There's... I want to question you on the
11 little differences that there are. So I'll, I will
12 highlight those for you. So what you have in front
13 of you is the press release that accompanied the
14 latest interest, policy interest rate increase. So,
15 paragraph... I'm trying to make... just change the
16 document so I can read it. Okay. So:

17 With the economy in excess demand, and
18 inflation persisting well above target
19 and...

20 And then, there is new words there :

21 ... and expected to move higher in the
22 near term...

23 You see that?

24 R. Yes.

25 Q. **[54]** Okay. So you do agree with me that inflation

1 is well above target, first of all?

2 R. Obviously, yes.

3 Q. [55] Okay. And you do also agree with me that the
4 inflation is expected to move higher, in the near
5 term?

6 R. Yes, and I told my students: expect an overnight
7 rate of four point five percent (4.5%) as the rate,
8 the last time the Bank of Canada tried to slow down
9 the economy in two thousand seven (2007).

10 Q. [56] So, presently it is at one (1)... you expect
11 it at four point five percent (4.5%), in fact, to
12 achieve that on what date, approximately?

13 R. Oh, I'm not going to give dates, because I mean if
14 I gave a date, you are going to say: it occurred
15 five days earlier or five days later.

16 Q. [57] No, no, no, no, no, no, I am not going to be
17 cross-examining you, once that occurs, this case
18 will be over, so there is nothing to worry about.
19 But you tell me, you are telling me, you tell your
20 students that the policy interest rate is probably
21 going to hit four point five percent (4.5%). When,
22 in your opinion, is that supposed to be achieved?

23 R. I think it all depends upon the political
24 implications of housing prices in... primarily in
25 the Greater Toronto area...

1 Q. [58] Hum, hum.

2 R. ... and generally in Canada, and the problem it
3 imposes on younger people, particularly Millennials
4 and Generation Z, who had been encouraged to buy
5 housing. The government is giving them incentives
6 to buy housing and a lot of them have bought houses
7 or condominiums in the last eighteen (18) months,
8 two years, and if those prices start dropping
9 dramatically, you are going to see a lot of
10 screaming by Millennials and Generation Z.

11 And they will...you can generate... they
12 are already into a little bit of a generation war
13 between Millennials and Boomers like me, and I can
14 see that that would be a political problem for the
15 federal government.

16 So we saw, for example, in Chrystia
17 Freeland's comments, last week, that she is trying
18 to address some of the problems of higher inflation
19 and in fact, she generates a claimer, another nine
20 billion dollars (\$9 B) worth of spending which for
21 economists this is worst, it just increase the
22 amount of spending in the economy. But they are
23 definitely concerned about the impact on
24 Millennials, of increasing interest rates.

25 So I think, as I tell my students: the last

1 time the Central Bank tried to slow down the
2 inflation in Canada was back into two thousand and
3 seven (2007) and the rate went to four point five
4 percent (4.5%).

5 At the moment, we are nowhere close to
6 slowing down the economy. The overall demand is way
7 too strong and we got so much built-up savings that
8 you are going to have to have significant increases
9 in the overnight rate.

10 How quickly they do that depends entirely
11 on the politically implications of Millennials
12 having serious financial trouble to pay for their
13 mortgages.

14 So it is a political, ultimately, it's the
15 political decision. The Governing Council of the
16 Bank of Canada, the Deputy Minister of Finance sits
17 on the Governing Council. So the Bank of Canada is
18 independent but it does not mean to say that there
19 is not a chill and throw between the government and
20 the Bank of Canada.

21 Q. [59] Dr. Booth, do you agree with me that when, as
22 a general rule, obviously when we see inflation
23 rate increasing, we also see an increase in the
24 rate for the thirty (30) year Canadian Treasury
25 Bond yield?

1 R. Possibly.

2 Q. [60] As a general rule, it's a... there is
3 exceptions.

4 R. The, I have here the... you can't see it, but I
5 have, in front of me, the June seventh (7th), Royal
6 Bank of Canada forecast.

7 Q. [61] Hum, hum.

8 R. And in my view, I was hopeful that we were
9 normalizing, and when I say I was hopeful we were
10 normalizing, it's the interest rates would get back
11 to normal. As I have said in my testimony, I
12 believe anything lower than the three point eight
13 percent (3.8%) long Canada bond yield, as being
14 abnormal and I was really surprised with the Royal
15 Bank of Canada forecast, obviously it's June the
16 seventh (7th), I couldn't put it in my testimony,
17 but they have the thirty (30) year long Canada bond
18 yield in the end of two thousand and twenty-three
19 (2023) and two point five five percent (2.55%)
20 which is thirty (30) basis points less than now.

21 So their forecast in the long Canada bond
22 yield is not going to get to my forecast of three
23 point three seven percent (3.37%), let alone three
24 point eight percent (3.8%), their forecasting it's
25 going to go down.

1 Now, the way that that is going to happen,
2 if RBC is correct, is that the Bank of Canada is
3 going to increase the short rates and we are going
4 to have a recession and we are going to break the
5 inflationary spiral and if we break the
6 inflationary spiral, we are going to breakdown
7 inflation and as a result, long term interest rates
8 will come down.

9 So when we look at inflation, you see, pawn
10 to separate out the transitory effects of the
11 moment and a lot of this is still transitory.

12 At a time of my forecast or the time of my
13 evidence Bank of Canada was forecasting the
14 inflation would come down within its one to three
15 percent (1-3%) range within a year, they're now
16 pushed that off to two years.

17 But the most important thing, is they have
18 not pushed it off indefinitely. They simply can't
19 allow inflation to stay at these sorts of levels.

20 Q. [62] But on the short term, if we look at the next
21 one, two, three years, you do agree with me that
22 inflation is expected to rise, to continue to rise?

23 R. I expect it to rise and I think it has put the Bank
24 of Canada and the federal government in a really
25 difficult place.

1 Q. **[63]** Yes.

2 R. Tim Macklem, my former dean is governor of the Bank
3 of Canada. He has admitted he made a mistake. The
4 Bank of England, the governors admitted they made a
5 mistake. The governors of the Federal Reserve have
6 admitted they made a mistake. So all the central
7 banks have made a mistake essentially in not
8 reacting quickly enough to stop buying bonds and to
9 tighten, to let the bonds run off and increase the
10 short term interest rate.

11 Because we've got all these massive build-
12 up of savings, for the last two years -- now, I
13 don't know what Montréal airport is like, but
14 Toronto Pearson is packed with people flying to
15 Europe. They can't process them and the restaurants
16 are buzzing and they're full. We had two years
17 where people have been saving money and now they
18 are spending money. It is like you've released the
19 top of a pressure cooker and we got this strong
20 spending that is now adding to the supply side
21 problems on the economy, which started the increase
22 in inflation.

23 Q. **[64]** Okay. So with increased inflation on the short
24 term, we can expect increasing long term yield
25 bonds as well on the short term. Correct?

1 R. I think we might have peaked, it all depends how
2 quickly the Bank of Canada pushes up interest
3 rates, which I regard as a political decision,
4 rather than an economic decision, at the moment.
5 Simply because higher interest rates don't affect
6 everybody. It does not affect me at all, but it
7 does affect Millennials and Generation Z.

8 Q. [65] Do you agree with me that economists expect
9 the Bank of Canada to raise interest rates again in
10 mid-July of twenty twenty-two (2022)?

11 R. Absolutely, I expect, as I said, I mean, to really
12 slow down the economy, we are going to have to have
13 an overnight rate at least three and half percent
14 (3.5%) and it could be as high to four and a half
15 percent (4.5%).

16 The neutral rate where they are not
17 stimulating the economy is about two and a half
18 percent (2.5%), we are not quite sure where it is,
19 it is guess work, but it is about two and a half
20 percent (2.5%) and we are not even at that yet.

21 So we are still stimulating the economy.

22 Q. [66] Now going back to the press release that we
23 still have on the screen, we see near the bottom,
24 there, the pace, you see the sentence that starts
25 with "the pace"? So:

1 The pace of further increases in the
2 policy rate will be guided by the
3 Bank's ongoing assessment of the
4 economy and inflation.

5 Whereas on April thirteenth (13th), we did not have
6 the words "and inflation".

7 Again, compare, remember, I am comparing
8 the press release from April thirteenth (13th). So
9 you do... do you agree with me that should higher
10 inflation persist, the Bank of Canada should
11 tighten its monetary policy?

12 R. Absolutely. Tim has already admitted that he made a
13 mistake. He admitted that he made a mistake, and
14 now he is sort of retracing a little bit and
15 saying: well, we are paying a lot of attention and
16 we could be a lot quicker in the future. So that, in
17 my view, as just a reflection of the fact that he has
18 publicly admitted that he made a mistake.

19 Q. **[67]** And tightening monetary policy is usually done
20 through policy interest rate increase. Correct?

21 R. Yes, traditionally what we call monetary policies
22 is all of the short end. Its treasury bills, it's
23 short term investments, unconventional monetary
24 policy is all of this quantitative easing or this
25 massive bond buying that we've seen, which has not

1 been a really big factor in Canada until COVID- 19.

2 Q. **[68]** And you agree with me with that, all else
3 equal, higher policy interest rate equals higher
4 cost of capital?

5 R. Now that is slipping in a different world. What is
6 the cost of capital? It depends if we deal with the
7 cost of capital when we are talking about long term
8 investments, we are dealing with long term interest
9 rates, not short term interest rates.

10 The only role for short term interest rates
11 is basically what we call working capital
12 management, inventories. When the short rate goes
13 up, you stop stocking inventory. You don't stop
14 making long term investments.

15 Q. **[69]** So are you suggesting we should put more
16 weight on the long term than on the short term?

17 R. That is a crafty question, Mr. Ouellet,
18 (inaudible).

19 Q. **[70]** Well... so you do not agree, you do not agree
20 that more weight needs to be put on the short term
21 as opposed to the long term?

22 R. Are you talking about business risk or you are
23 talking about interest rates?

24 Q. **[71]** I am talking about interest rates, for the
25 time being.

1 R. Okay, fine. So in talking about interest rates,
2 the... when you look at interest rates, until
3 unconventional monetary policies started around two
4 thousand and ten (2010), the standard argument was
5 when you buy long term bond, a thirty (30) year
6 bond, you are going to see a recession, a boom, a
7 recession, a boom. You are going to see three or
8 four recessions or booms over the life of that
9 thirty (30) year bond.

10 If you buy a one year bond, you are only
11 caring about what happens over the one year and if
12 you're looking at the recession over that one year,
13 that is what is going to drive the yields.

14 So long term bonds are not as sensitive to
15 interest rates as short term bonds, where short
16 term bonds clearly are affected by the central
17 banks' policy rate, the Federal Funds rate in the
18 United States, the overnight rate in Canada. That
19 is why we referred to bond buying as unconventional
20 monetary policy.

21 Q. [72] Now, going back to page 26 of your evidence,
22 je suis... je m'apprête à changer de sujet, je ne
23 sais pas si vous voulez continuer encore. Moi, je
24 suis à votre disposition, là, je peux continuer une
25 vingtaine de minutes encore, si vous voulez.

1 LE PRÉSIDENT :

2 Bien, vous pourriez terminer votre ligne de
3 questions, puis on prendra une pause.

4 Me PATRICK OUELLET :

5 Parfait. Donc, je vais faire ce sujet-là, puis...
6 qui n'est pas très long...

7 LE PRÉSIDENT :

8 Oui.

9 Me PATRICK OUELLET :

10 ... et on prendra la pause.

11 Q. [73] Dr. Booth, I am just going to deal with this
12 short subject and then we will take the break.

13 R. Okay.

14 Q. [74] So page 26, no, no, not of the PowerPoint, of
15 the... de son rapport, en fait, de son « direct
16 testimony ». Okay. Still that same page we were on,
17 where you had the Bank of Canada data from January.

18 R. You are going to give me nightmares about this
19 page.

20 Q. [75] I know. That is what cross-examination is all
21 about, hey. Let us... if we look at the end of page
22 70, no I am sorry, not of line 17, at the line 17,
23 you see a statement here :

24 The Bank expects these other factors
25 to stabilise in twenty twenty-two

1 (2022) and inflation to move to
2 slightly above the middle of its
3 operating band of two percent (2.0%).

4 I think we touched on this a little bit before
5 today, so that was true at the time you wrote your
6 report, but it is no longer true today. Correct?

7 R. That is true and as I say, it is difficult for the
8 Bank to say anything else, given the fact that it
9 just renewed the target of one to three percent (1-
10 3%), with a two percent (2%) middle value. So, to
11 say anything else is basically saying: well, what
12 we just agreed to with the federal government
13 straight out the window, it doesn't work.

14 Q. [76] Just to make sure we got your answer, I said
15 that was true at the time you wrote your report,
16 but it is no longer true today and you responded:
17 "That is true". So... that is true?

18 R. Yes.

19 Q. [77] But what is true? It is true that it is no
20 longer true?

21 R. It is true that it is no longer...

22 Q. [78] Okay.

23 R. ... the Bank no longer expecting inflation to
24 stabilize in twenty twenty-two (2022), clearly
25 we've got increasing inflation. It is no longer

1 true that the Bank expects inflation to move to
2 slightly above the middle of his operating band.
3 That was the forecast of the Bank at the time. It
4 subsequently pushed that off for at least a year
5 and I suspect, to be honest, it is going to have to
6 backtrack on that. I think in fact it's going to be
7 longer, higher for longer.

8 Q. **[79]** I agree with you and I want to review that
9 topic with you, as well. So if we could go to
10 document... C'est le B-0371. So what you have on
11 this... in this document, you are familiar with...
12 it is the Monetary Policy Report of April twenty
13 twenty-two (2022)?

14 R. I've looked at it, yes.

15 Q. **[80]** Okay, so again, in fairness to you, Dr. Booth,
16 this was released on April thirteenth (13th), so
17 five days after your report was filed?

18 R. Okay.

19 Q. **[81]** Just so we are on the same page. Now, if we go
20 to page 5 of the PDF which is the page that's
21 numbered 1. You were there, you were there. Okay.
22 Page 1. On continue à monter un petit peu. Encore
23 un peu. There we go. Okay. Overview. And then,
24 again, if you want to take the time to read the
25 entire thing, let me know. My question is on the

1 first bullet in "Key messages". So I'll just read
2 this for the transcript:

3 The outlook for CPI inflation in
4 Canada is higher than previously
5 projected. Inflation is expected to
6 average just below 6% through the
7 first half of 2022 and remain well
8 above the control range through the
9 rest of the year. It should then
10 steadily decline to about 2.5% in the
11 second half of 2023 and to the 2%
12 target in 2024. This decline reflects
13 decreases in energy prices, a
14 dissipation of global supply chain
15 constraints and a rebalancing of
16 supply and demand in the Canadian
17 economy.

18 So, you're familiar with that statement?

19 R. I'm familiar with the Bank's view and I think in
20 July it will have to retract on some of that as
21 well.

22 Q. [82] That's exactly my point Dr. Booth that I want
23 to review with you. In April, so the date of, of
24 this report, that we're looking at, April
25 thirteenth (13th). The Bank was saying that it was

1 expecting:

2 Inflation is expected to average just
3 below 6% through the first half of
4 2022...

5 But what we see now, is now that we're almost half
6 way through twenty twenty-two (2022), that
7 inflation has it stands now it's not, it's not, is
8 above six percent (6%). It's six point eight (6.8%)
9 and expected to rise again on the short term.

10 Correct?

11 R. Correct.

12 Q. **[83]** So that's why you say that they'll have to
13 retract from that because the data when, when they
14 increased the rate on June first (1st) again that
15 had to changed the forecast.

16 R. I think all of the... I'm not blaming, as I said
17 Tim Macklem is a formal colleague of mine and, he
18 was the dean of the Rotman's School, but I think
19 Tim suffer the same problem as the governor of the
20 Bank of England, and the governors of the Fed
21 Reserve they were all late, and the key thing is
22 they thought the supply bottlenecks would clear up
23 a lot quicker than they actually have. In fact, as
24 you're probably aware China keeps locking down
25 critical cities. It's like, that game, that affair

1 where you bang the head of an animal that comes up
2 and then another one pop up. China just keeps
3 locking down periodically, rather than use mass
4 inoculations.

5 So, we got those problems that continuously
6 come about. We've got the problems involving Russia
7 and there's certain critical things that Russia
8 produces that are identical in problems, but the
9 big one is that they just didn't take into account
10 the massive amount of savings on the part of
11 consumers. And their desire after two years of
12 lockdown to get out and spend. And that's gonna
13 continue for a period of time and I don't
14 personally think that they got the will to increase
15 interest raise enough to break that.

16 If fact I was on Global television, one of
17 our networks, a couple of nights ago, and saying: I
18 think we should seriously think about increasing
19 the GST. Because we need some sort of blanket
20 increase in, in taxes, basically to break the back
21 of inflation. And increasing interest rates, as I
22 said, it affects certain sectors of the economy.
23 It's really unfair in some sense, that it hits some
24 particular groups, and not other groups whereas an
25 increase in the GST affects everybody.

1 Q. **[84]** Before we take the break, I just want to, I
2 just have a few clarifications and questions on
3 what you just referred to. When you say the Bank of
4 Canada was late in... what you mean is, it was late
5 in increasing interest rates?

6 R. Yes. Very late in increasing interest rates. They
7 should have, it should have stopped buying bonds in
8 the middle of last year. And it should have stopped
9 and as soon start increasing interest rates, last
10 fall at least, and not just our Bank, but all of
11 the banks.

12 Q. **[85]** On that topic, you saw that last week the Fed
13 in the US increased its interest rate by seventy-
14 five (75) basis points. Do you saw that?

15 R. Not enough.

16 Q. **[86]** Okay. And that was the biggest increase since
17 nineteen ninety-four (1994). Is that correct?

18 R. That's correct. But you gotta remember it's the
19 biggest increase because we've have two percentage
20 inflation target since nineteen ninety six (1996).
21 So as a result inflation hasn't been a serious
22 problem for, for decades.

23 Q. **[87]** In fact it illustrates what... sorry go ahead,
24 go on, go on.

25 R. My students, one of the first things I do is I ask

1 them how old they are. Because they don't recognize
2 what us, old people, lived through in the
3 nineteen's, seventy's, eighty's and ninety's. So
4 their perspective is not that, say, a two and half
5 percent (2.5%) mortgage is a great deal. Their
6 perspective is that's normal. And it's not normal.
7 They've never had a significant inflation. And it's
8 the job of the Bank of Canada and the central banks
9 to get us back to two percent (2%) inflation.

10 But I remember when my mortgage was twenty-
11 three (23%). And I remember when we had fourteen
12 percent (14%), thirteen (13) and fourteen percent
13 (13-14%) inflation in Canada. So, I know what it
14 was like before we came to this agreement between
15 the federal government and the Bank of Canada to
16 bring inflation down to two percent (2%).

17 Q. **[88]** Just to illustrate what you're saying when you
18 say that central banks were late. Do you recall
19 that in nineteen ninety-four (1994) mister
20 Greenspan, he had raised the interest rate by point
21 seventy-five percent (0.75%). That was a preemptive
22 strike though. He had not waited for inflation to
23 arise before he did that. Is that correct?

24 R. I think your memory is better than mine, so I can't
25 remember that particular incident. And I'm

1 surprised that you remember it. I didn't think you
2 were that old.

3 Q. [89] I'm older than maybe you think. But any how.
4 Let's... I'm about to change topic so maybe it
5 would be a good time for the break.

6 R. Okay.

7 Me PAULE HAMELIN :

8 And maybe just before the break, just a small
9 comment. In all fairness again, Dr. Villadsen has
10 not modified her report. I know that she has in her
11 presentation referred to updated figures in her
12 presentation. So, I understand the line of
13 questioning of my colleague, but generally when we
14 file a report, and it's like that in the rate case,
15 usually the utilities do not amend their report
16 once it's filed. So, I just... as a remark as a
17 general remark. Thank you.

18 Me PATRICK OUELLET :

19 Je ne suis pas certain que je comprends si c'est un
20 reproche, ou quoi que ce soit. Je, je ne comprends
21 pas le commentaire, je m'excuse.

22 Me PAULE HAMELIN :

23 I'm saying that, well, it's a general comment with
24 respect to the filing as is. And the fact that we
25 are answering to Dr. Villadsen's report and that

1 was not updated by her. So that's a general comment
2 I want to make.

3 Me PATRICK OUELLET :

4 Moi j'ai compris que la docteure Villadsen a quand
5 même fourni des chiffres mis à jour, mais je n'ai
6 pas l'intention de répondre plus en détails. Ça
7 serait peut-être le moment de la pause.

8 LE PRÉSIDENT :

9 Parfait. Alors, merci on se revoit à onze heures
10 dix (11 h 10).

11 Me PATRICK OUELLET :

12 Merci.

13 SUSPENSION DE L'AUDIENCE

14

15 REPRISE DE L'AUDIENCE

16 LE PRÉSIDENT :

17 Rebonjour. Alors Maître Ouellet on vous écoute.

18 Me PATRICK OUELLET :

19 Q. **[90]** Très bien. So, Dr. Booth can you turn to page
20 31 of your expert evidence, so not the presentation
21 but your initial report. And, Madame la Greffière,
22 si on pouvait avoir la page 31 de la pièce ACIG-
23 0037. En fait si on regarde, ça serait le numéro de
24 page, en bas, donc la prochaine, voilà. Voilà. Donc
25 O.K. juste le screenshot.

1 So what I want to have on the screen,
2 Madame si vous pouvez descendre un petit peu juste
3 pour qu'on voit le titre. Voilà.

4 So, what we have, what we have on the
5 screen, we've put on the screen is the middle of
6 page 31 of your expert evidence. So, the screenshot
7 that we see here, Dr. Booth, that was taken from
8 the Royal Bank of Canada's website and represents
9 RBC's interest rate forecast on February ninth
10 (9th) of twenty twenty-two (2022). That's correct?

11 R. Almost correct. It's taken for their monthly
12 publication, the Financial Markets Monthly. So, I
13 actually get that on a regular basis. So, it's a
14 seven-page document that I get.

15 Q. **[91]** Okay. So you didn't have to go on the website,
16 you just receive it yourself and that's an extract
17 of that seven-page document.

18 R. That's, that's correct. What I do is I get
19 notification and then I go to the web page and I
20 download the PDF. I have to, pardon me, I have to
21 do something.

22 Q. **[92]** Okay. So I did the same thing you did to get
23 these documents but my point here being this one is
24 dated February ninth (9th) of twenty twenty-two
25 (2020). Correct?

1 R. That's correct.

2 Q. **[93]** Okay. Now, do you agree with me, or do you
3 know that before the filing of your expert
4 evidence, this forecast by RBC had already been
5 updated?

6 R. I would think it was updated sometime in March. The
7 dates change every month, but sometimes in March it
8 would had been updated.

9 Q. **[94]** Almost right. So, it would had been April
10 first (1st). That is was updated. And...

11 R. There wasn't a March one? But...

12 Q. **[95]** I didn't find one. I didn't find the March
13 when I got the April first (1st), and I can show
14 you it's document B-0372. So what we did, Dr.
15 Booth, while Madame is looking for the document,
16 we, I took the seven-page document and we reproduce
17 the exact same screenshot, that we see in your
18 report, on page 31. So we'll show you the
19 information for April first (1st).

20 R. Are you going to show me the June seventh (7th) one
21 as well?

22 Q. **[96]** Yes, I will.

23 R. Okay. Cause, it's interesting.

24 Q. **[97]** It is. Don't worry. I promise I will show you
25 the June seventh (7th). Madame, le B-0372. Okay, so

1 I want to apologize to every one in advance, we'll
2 be looking at those small numbers for the next few
3 minutes. And we'll go from this document at page 31
4 of the report to the June seventh (7th). So bear
5 with me. I know the numbers are small.

6 Now, if we use this data which was the
7 current data as of the date of the filing of your
8 expert report and we look at the sentence just
9 below the screenshot, at page 31 so, if you, I
10 don't know if you have a paper copy of your
11 evidence in front of you. I'm just gonna read right
12 after the screenshot. What it says is:

13 RBC is forecasting that the current
14 overnight rate of 0.25% will increase
15 to 1.25% by Q4 2022 and 1.75% by Q4
16 2023.

17 You have that sentence?

18 R. I do.

19 Q. **[98]** Okay. Now I just want to re-write this with
20 you with the data that was the most recent one as
21 of the date of the publication of your report. So.
22 What we should read is "RBC is forecasting that the
23 current overnight rate of..." instead of point two
24 five (0.25) it should be point five percent (0.5%),
25 correct?

1 R. Okay. Yes.

2 Q. **[99]** Okay. "... will increase to" instead of one
3 point twenty-five (1.25) it should be two percent
4 (2%)?

5 R. Yes. That's fine.

6 Q. **[100]** "... by Q4 2022 and will remain at 2% by Q4
7 2023". Would you agree with that?

8 R. Yes, I'll agree with that.

9 Q. **[101]** Now, since the filing of your expert
10 evidence, what we're looking at now is the April
11 first (1st), there's been two updates to the RBC
12 forecast. One on May tenth (10th) twenty twenty-two
13 (2022) and one on June seventh (7th) twenty twenty-
14 two (2022). You were aware of that?

15 R. Yes I was. I am, yes.

16 Q. **[102]** Okay. Now, I'm going to respect my promise. I
17 will take you to the June seventh (7th). Which will
18 be document B-0373. So you see again, we've
19 reproduced the exact same screenshot than what we
20 see on page 31 but for the most up-to-date, the
21 June seventh (7th). Let me know if you need to take
22 the time to review it.

23 R. No, no, that's fine. I got it in front of me and I
24 read it.

25 Q. **[103]** So, again, we'll do the exercise we did.

1 We'll just re-read the sentence just below the
2 screenshot on page 31, but with the most up-to-date
3 figure. We should read: "RBC is forecasting that
4 the current overnight rate of 0.25% will increase
5 to 2.75% by Q4 2022 and will remain at 2.75% by Q4
6 2023". That would be the correct sentence?

7 R. That's the new sentence with the new data, yes.

8 Q. **[104]** Yes. Well, correct if we take the up-to-date,
9 which did not exist at the time of your report. I
10 do not want to, I do not want to be unfair to you.
11 This did not exist when you wrote this report,
12 okay?

13 R. I would have made a lot of money, if it did exist.

14 Q. **[105]** How so?

15 R. Because if I had a forecast ahead of time, if you
16 gave me RBC's forecast for next year somehow
17 materializing now, I would have made a lot of money
18 trading on it.

19 Q. **[106]** My point is we want to know what changed
20 since the filing of your reporting and we are just,
21 it is going well, we are reviewing this together.

22 Now, you also write in your report, just
23 the following sentence, on page 31...

24 R. Yes.

25 Q. **[107]** The thirty (30) year LTC bond yield will also

1 increase from the current two point seventeen
2 percent (2.17%) in Canada to two point three
3 percent (2.3%) by Q4 twenty twenty-two (2022) and
4 remain there until Q4 twenty twenty-three (2023).
5 You see that?

6 R. Yes.

7 Q. **[108]** Now, my first question is on the two point
8 seventeen percent (2.17%).

9 R. Yes.

10 Q. **[109]** Okay. So that two point seventeen percent
11 (2.17%), that represents a long term Canada bond
12 yield as of mid-February twenty twenty-two (2022),
13 is that correct?

14 R. I think that's correct, yes.

15 Q. **[110]** Okay. I do not find, I can't find a source
16 for this and I do not see a footnote or a source in
17 your report, and I...

18 R. I think that, normally, is at the end of my
19 testimony...

20 Q. **[111]** Okay.

21 R. ... reflecting the bond yields right away across
22 the maturity spectrum. So, I think that's...

23 Q. **[112]** What, in your schedules?

24 R. Yes, it is in one of the schedules. So it is
25 probably Schedule 2 or 3.

1 Q. **[113]** I think it is 2, Canada bond yields?

2 R. That would be it.

3 Q. **[114]** Okay. So the two point seventeen (2.17) is at
4 the very bottom of Schedule 2?

5 R. That's correct.

6 Q. **[115]** Okay, good thing.

7 R. Over 10 Canada two point one seven (2.17).

8 Q. **[116]** Okay. So over 10, that means more than ten
9 (10) years, so that would be the thirty (30) year
10 bond?

11 R. No, the... we never used to have thirty (30) year
12 bonds. So the over 10 series is an average of
13 longer term bonds. It goes all the way back to
14 nineteen thirty-six (1936).

15 Q. **[117]** Okay.

16 R. When they started creating these series, but we
17 could not get a thirty (30) year Canada series,
18 because they didn't issue thirty (30) year
19 Canada's.

20 Q. **[118]** Okay. So the two seventeen (2.17) is the
21 forecast of the long term Canada bond yield as of
22 mid-February. Now the two point three percent
23 (2.3%)...

24 R. Two point one seven (2.17) was the long Canada bond
25 yield.

1 Q. **[119]** Was exactly, and I will come to that. That
2 has moved up, correct?

3 R. Yes, very much so.

4 Q. **[120]** Okay. Now, the two point three percent
5 (2.3%), the two point thirty percent (2.30%), by Q4
6 twenty twenty-two (2022). You got that from the RBC
7 forecast, right?

8 R. That's correct.

9 Q. **[121]** Okay. Now, can we go back to page 31 of your
10 report, because I... unless I am mistaken, the
11 figure, and maybe I am mistaken, but you will
12 correct me if I am wrong, but what you have at two
13 point three (2.3), in my understanding, should
14 actually be two point two (2.2), if we look at what
15 was in your report of page 31.

16 R. I think that's correct.

17 Q. **[122]** Okay.

18 R. The... yes, it should be two point two (2.2), not
19 two point three (2.3).

20 Q. **[123]** Well, that was my...

21 R. Okay, fine, yes, I think what I... yes, I think the
22 two point three (2.3) as really once we get into
23 twenty twenty-three (2023) and it says it stays
24 there. So my eyes must of wandered over a column.

25 Q. **[124]** No, but I was just, I just wanted to make

1 sure that the typo is... it should be two point two
2 (2.2) instead of two point three (2.3), it is not
3 that you wanted to refer to Q2 twenty twenty-three
4 (2023).

5 R. Yes, no, that's correct.

6 Q. **[125]** Okay, okay. Now when you write, and I am
7 continuing that same sentence:

8 And remain there...

9 Meaning two point three percent (2.3%).

10 ... until Q4, twenty twenty-three
11 (2023).

12 So you mean remain there at two point three (2.3),
13 so that is consistent with what you just said. It
14 should have been two point three (2.3)? Well remain
15 there, because I don't understand. Is it remain at
16 two point two (2.2)?

17 R. Well looking at the two point three percent
18 (2.3%)...

19 Q. **[126]** Hum, hum.

20 R. ... in twenty twenty-three (2023) or at least I
21 think that is what I would do.

22 Q. **[127]** Yes.

23 R. And as I said, I think my eyes just wandered over
24 and add the two point three (2.3).

25 Q. **[128]** Okay.

1 R. Now, so the typo really should, should be Q4 twenty
2 twenty-two (2022) rather than the two point two
3 (2.2), but regardless, I mean, I was talking about
4 how the interest rates are going to evolve, would
5 evolve at that time.

6 And just to sort of correct on this, I
7 could have updated RBC, but a little bit of
8 backdrop here...

9 Q. [129] I have not asked you a question.

10 R. I am sorry, okay.

11 Me PAULE HAMELIN :

12 No, but the witness wants to add something to his
13 answer, I think he should be adding to his answer.

14 Me PATRICK OUELLET :

15 Si vous me permettez, Monsieur le Président, je
16 vais dire ça en français, puis je ne veux pas
17 manquer de... je ne fais pas de reproche à qui que
18 ce soit, là, mais le but du contre-interrogatoire,
19 c'est de répondre à mes questions.

20 Là, on a assisté essentiellement à une
21 plaidoirie du docteur Booth, alors que la Régie a
22 décidé qu'il n'y aurait pas de plaidoirie orale. Il
23 a eu tout le temps au monde pour raconter son
24 histoire et plaider ce qu'il voulait plaider.
25 Maintenant, c'est le temps de répondre à mes

1 questions, ce n'est pas juste de partir sur une
2 anecdote et un sujet. Moi, j'ai des questions à lui
3 poser puis c'est tout simplement ce qu'il devrait
4 faire, ce qui est l'exercice normal de contre-
5 interrogatoire. C'est de répondre aux questions.

6 Me PAULE HAMELIN :

7 Monsieur le Président, il répond aux questions,
8 mais il veut préciser sa réponse.

9 LE PRÉSIDENT :

10 Écoutez, je pense que c'est le privilège du témoin
11 de donner du contexte à la réponse à la question.

12 Me PATRICK OUELLET :

13 À la question!

14 LE PRÉSIDENT :

15 Bien oui, oui, tout à fait. Et donner du contexte
16 aussi, pour que la réponse ait un sens.

17 Me PATRICK OUELLET:

18 Q. **[130]** Did you want to add something, Dr. Booth?

19 R. No, I was just going to say that I have always
20 included the RBC forecast for as long as I could
21 remember including forecasts and I certainly added
22 it in two thousand eleven (2011) and two thousand
23 nine (2009) and two thousand seven (2007). And the
24 reason for that, was that we were looking at the
25 near term forecast for an automatic ROE adjustment

1 mechanism.

2 But the RBC forecast in twenty twenty-two
3 (2022) is only going out eighteen (18) months
4 basically.

5 So if you notice what I did add, was a
6 longer term forecast trying to get a handle on when
7 we're going to get back to higher interest rates
8 and I put in the March forecast of the
9 Parliamentary Budget Officer. Because I was trying
10 to get a long term forecast and the two point three
11 percent (2.3%), I didn't think was a long enough
12 forecast to get return to normality.

13 So what I was saying, is I put in the RBC
14 forecast, as I always put in the RBC forecast, but
15 I agree, based on my estimates on the Parliamentary
16 Budget Officer forecast, which is a longer term
17 forecast, and that was... it literally came in when
18 I was filing, writing my testimony, which is why I
19 inserted that in, because that was bang-up to-date,
20 consensus economic parliamentary budget forecast.

21 So that just providing a little bit of
22 context.

23 Q. [131] Now, I am continuing to read right where we
24 left off at Q4 twenty twenty-three (2023) :

25 As a result, the yield spread will

1 significantly decrease from one point
2 forty-three percent (1.43%) at the end
3 of twenty twenty-one (2021) to zero
4 point forty-five percent (0.45%) (sic)
5 by the end of twenty twenty-four
6 (2024).

7 So I have questions on, I just want to make sure I
8 am following you to arrive at those figures, I do
9 not think it is a trick question. So I just want to
10 have the source for the one point forty-three
11 (1.43), I will suggest to you that to arrive at one
12 point forty-three (1.43), what you do, is you take
13 the thirty (30) year Canada twenty-one (21) Q4, so
14 one point sixty-eight percent (1.68%), minus the
15 twenty-one (21) Q4 overnight rate in Canada point
16 twenty-five (.25), so one point sixty-eight (1.68)
17 minus point twenty-five (.25) would be the source
18 for the one point forty-three percent (1.43%). Is
19 that correct?

20 R. Yes, if you found it, I will accept it.

21 Q. **[132]** Okay. Well, I want to make sure it is right.
22 I do not want to mislead anyone, so I just wanted
23 to confirm, you are the author of this.

24 R. No, that's fine.

25 Q. **[133]** Okay, okay. Now. And want to do the same

1 thing with the source for the zero point fifty-five
2 percent (0,55%)...

3 R. Yes.

4 Q. **[134]** So that would be the Q4 two thousand and
5 three (2003), thirty (30) year Canada, two point
6 thirty percent (2.30%), minus the twenty-four (24)
7 Q3 overnight Canada, at one point seventy-five
8 (1.75), so two point three (2.3) minus one point
9 seven five (1.75), that is where you find zero
10 point five five (0.55)?

11 R. That's correct.

12 Q. **[135]** Okay. Now, and just so we are clear, going
13 back to your report, when you say:

14 As a result, the yield spread will
15 significantly decrease from 1.43% at
16 the end of 2021 to 0.55% by the end of
17 2024.

18 You meant, by the end of twenty twenty-three
19 (2023).

20 R. Twenty twenty-three (2023), Q4. That's correct.

21 Q. **[136]** Okay. So that's another typo we should
22 correct, we should write twenty twenty-three (2023)
23 instead of twenty-four (24)?

24 R. Yes. All of it is referring to the end of Q4 twenty
25 twenty-three (2023).

1 Q. **[137]** Okay. Now...

2 R. That's the end of the, of RBC's forecast.

3 Q. **[138]** Yes. That's what I thought. I just wanted to
4 clarify. Now, if we turn to the next page of your
5 report, page 32, at lines 7 and 8. I'm just going
6 to read:

7 For the immediate future, I doubt that
8 long term interest rates will increase
9 much beyond the RBC forecast, but in
10 its 2021 budget briefing the
11 Government of Canada had average
12 private sector forecast data on which
13 it partially based its budget
14 forecast.

15 So, that's what you're referring to? The
16 Parliament, Parliamentary Officer's forecast?

17 R. No, that's the budget briefing to the government of
18 Canada.

19 Q. **[139]** So that's not the same.

20 R. Based upon the Consensus of which RBC is one of the
21 people that is surveyed in the Consensus.

22 Q. **[140]** Okay. Okay. Now, so when you refer, when you
23 say:

24 For the immediate future, I doubt that
25 long term interest rates will increase

1 much beyond the RBC forecast,...

2 Obviously you're referring to the RBC forecast that
3 we're looking at, at page 31 of your report. The
4 one of February nine (9), twenty twenty-two (2022)?

5 R. That's correct. And I thought they might increase
6 more, but not as much as they have.

7 Q. **[141]** That's my point so I will continue in that
8 vein. So the RBC forecast that you were referring
9 to at the time you wrote this report was two point
10 three percent (2.3%). Correct?

11 R. Correct.

12 Q. **[142]** So, I think there's no disagreement on that,
13 but you'll agree with me that the yield on a long
14 term Bank of Canada bond, as reported by the Bank
15 of Canada, exceeds now this two point three percent
16 (2.3%) forecast since, at least, March fourteenth
17 (14th), twenty twenty-two (2022). Would you agree
18 with that? So before your evidence was filed.

19 R. I think we saw it coming up, yes. And that's why I
20 put it in the Parliamentary Budget Officer's report
21 which I got while I was doing tidying up and I
22 thought this is important stuff. Because... not
23 just because it got a forecast, but it got a longer
24 term forecast.

25 And I think the important thing in all of

1 this, is -- I like the RBC forecast, I use it all
2 the time when I recommend a ROE adjustment
3 mechanism, but it's not clear what the majority of
4 the horizon for the test years is for these
5 utilities. And I don't think it is appropriate to
6 use a short run forecast of twenty twenty-two,
7 twenty-three, twenty-four (2022-23-24) yield when
8 we got a longer, a possibility of a longer term
9 horizon before the next, the next rate hearing.

10 Q. **[143]** But if the rate of return is only set for two
11 or three years, obviously we need to look at the
12 short term figures, correct?

13 R. Well, you certainly look for the short term
14 figures. And we recommend at least, my
15 recommendation would be that they have another
16 hearing in three years time. But, the last time
17 that Gazifère had a hearing was, I'm not sure about
18 it, but I think it was two thousand and ten (2010)
19 which is twelve (12) years ago.

20 And, when you're dealing with significant
21 lag between rate hearings and setting a fair ROE,
22 you shouldn't be looking at the near term forecast.
23 Unless you're going to put then on a ROE adjustment
24 mechanism. And then you would automatically pick up
25 changes in the long Canada bond yield forecast.

1 Q. **[144]** But if we look at only the time horizon
2 during which the rates will be, the rate of return,
3 will be in effect. If, it's only in effect for
4 three years, than we'll have to put more weight on
5 those three years. Correct?

6 R. That's correct. If in fact, if it was a normal
7 market and I didn't think that the long Canada
8 yield was distorted because of the actions of
9 central banks, I hundred percent (100%) agree with
10 you. And in fact that was my recommendation way
11 back into two thousand eleven (2011) before the
12 Americans started this massive central bank of
13 buying bonds and messed everything up.

14 Q. **[145]** Can we put on the screen document B-0374.
15 This is an extract from the Bank of Canada's
16 website. We can see there, and you see that date
17 March fourteen (14) of two thousand and twenty-two
18 (2022). And my last question to you before we went
19 into this discussion was, I was suggesting to you
20 that the yield on a long term Bank of Canada bond
21 exceeds the two point three percent (2.3%)
22 forecast, since at least March fourteen (14), two
23 thousand and twenty-two (2022). Do you agree with
24 that based on this document?

25 R. Can you scroll down a little bit. I can see the

1 seven years.

2 Q. **[146]** Yes, but...

3 R. The over 10 year. Yes, was two point four two
4 percent (2.42%) in March.

5 Q. **[147]** Exact. Exactly. So based on... Well, about
6 three weeks before you finalised your expert
7 evidence, the Bank of Canada showed a long term
8 yield that was higher than the two point three
9 percent (2.3%) RBC forecast based on February data.
10 That's correct?

11 R. That's correct. And that's what I referenced when I
12 talked about the March PBO forecast which was a
13 Consensus Forecasts which is, I said, I got last
14 minute and insert it my testimony at the last
15 minute. Because I thought that was relevant which
16 is a longer term forecast.

17 Q. **[148]** And you didn't update the other figures that
18 you thought that were relevant as well?

19 R. RBC is being very aggressive in their forecasts.
20 And as I said I don't hundred percent (100%) agree
21 in their forecasts. And the PBO forecast, and the
22 government of Canada forecast, I did put on the
23 next page. And I did emphasise that and I built my
24 recommendation around the Parliamentary Budget
25 Officer's forecast. So to some extent I down played

1 the RBC forecast.

2 Q. [149] Dr. Booth, can you show me where in your
3 evidence you warned the reader that the RBC
4 forecast is aggressive?

5 R. Well, I did say, as you read out to me that -- line
6 7 page 32:

7 For the immediate future, I doubt that
8 long term interest rates will increase
9 much beyond the RBC forecast,..

10 But...

11 Q. [150] But that's, but that's wrong. We just saw
12 that now it's over the RBC forecast, it's at two
13 point forty-two percent (2.42%) before the filing
14 of your expert evidence.

15 R. That's correct. But that's saying, I'm not saying I
16 adopt the RBC forecast. I'm saying, I'm expressing
17 doubt about the RBC forecast. Because, and, right
18 now as I told you the June, as you pointed out the
19 June forecast of long Canada bond yield is going to
20 go down. I have severe problems with that, because
21 I tend to believe that inflation is gonna be low
22 persistent than the Bank of Canada. So, right now,
23 to be actually honest, forecasts are all over the
24 place about what's going on. Because we don't quite
25 know, and as I've expressed, I'm not certain the

1 Bank of Canada has the ability, and the willingness
2 to push interest rate to a level that actually is
3 going to slow down the economy.

4 Q. **[151]** So, so just so I understand your evidence
5 correctly. Correct me if I'm wrong but, lines 7 and
6 8 of page 32 of your expert evidence, is your
7 warning to the reader to be careful about RBC?

8 R. Well, it's not a warning in the sense of it's
9 double capitalized and bolded warning. I'm not
10 saying, I mean it doesn't say I wholeheartedly
11 adopt the RBC forecast.

12 Q. **[152]** Okay. Now, as of now, you'll agree with me
13 that the yields on a long term Bank of Canada bonds
14 as reported by the Bank of Canada, are much higher
15 than the two point forty-two percent (2.42%) or the
16 two point three percent (2.3%) that we just looked
17 at, correct?

18 R. That's correct. They're higher than the forecasts
19 of just about everyone just six months ago, nobody
20 anticipated the inflation that we're actually
21 getting. And Tim Macklem, the governor of the Bank
22 of Canada say, I made, we made a mistake.

23 Q. **[153]** And just so we're clear. I'm not suggesting
24 that you should have known in November what
25 happened in June. I don't want you to read that

1 into my question. Now if you could, if you could
2 go to document B-0375.

3 What I am about to show you, Dr. Booth, is
4 the actual yields on long term Bank of Canada
5 bonds, taken from the Bank of Canada website. So if
6 we... I'd like to look at the ten (10) year and the
7 thirty (30) year. So we see here, at the... near
8 the top, ten (10) year, Government of Canada,
9 benchmark bond yields ten (10) year, three point
10 twenty-seven percent (3.27%), you see that?

11 R. Yes.

12 Q. **[154]** And Government of Canada benchmark bond
13 yields long term, three point eighteen percent
14 (3.18%), so those are the forecasts, as they stand
15 today, correct?

16 R. Well, they are not forecasts, those are the actual
17 yields.

18 Q. **[155]** Okay, I am sorry, I misspoke, you are
19 absolutely right, so those are the yields of the
20 long term and the ten (10) year bonds as of today?

21 R. That's correct.

22 Q. **[156]** Okay.

23 R. Well as of yesterday or whenever... yes.

24 Q. **[157]** Okay, for sure. So that is... if we take the
25 three point twenty-seven (3.27) compare that with

1 the forecast that you had at three point two (3.2),
2 that is almost, it is almost one percent (1%)
3 higher?

4 R. That's correct.

5 Q. **[158]** Okay. Now, when you say, in your report, the
6 lines we looked at:

7 For the immediate future, I doubt that
8 long term interest rates will increase
9 much beyond the RBC forecast.

10 Had you performed an analysis of some sort, before
11 casting this doubt, what you have said in your
12 report?

13 R. No, that was my judgment, in looking at the
14 situation, perhaps I should have expressed it more
15 strongly, but I have always relied upon the RBC
16 forecast and as I think I mentioned with the RBC
17 forecast is now predicting in the long Canada bond
18 yield is going to go down.

19 I have to admit I don't believe that.

20 Q. **[159]** And you think it will continue to go up?

21 R. I think right now, I think, there is more chance
22 that the long Canada bond yield is going to go up
23 rather than it drops down to the RBC forecast,
24 correct.

25 And the other part to this, is: what does

1 the capital market believe? And I draw your
2 attention to these yields and they got the
3 Government of Canada bond yield on the long term,
4 the thirty (30) year, three point one eight percent
5 (3.18%). Can you see that?

6 Q. **[160]** Yes.

7 R. And right below, he has got the real yield, the
8 real yield on the real return bond, which is one
9 point two five four one percent (1.2541%). The
10 difference between those two is what we call the
11 break-even inflation rate, because investors have
12 got a choice, either buying the long term nominal
13 bond, and getting a fixed coupon or buying the real
14 bond and getting a compensation for inflation.

15 So the difference between those two, which
16 is about one point ninety-three (1.93) is often
17 taken as a long term inflation rate. The long term
18 inflation rate in the capital market.

19 So right now and throughout this period, we
20 undoubtedly have this increase in inflation. The
21 capital market believed in Bank of Canada, that
22 they will bring down the rate of inflation and as a
23 result, the rate of inflation over the term of
24 those long term bonds is going to be around two
25 percent (2%), the centre of the Bank of Canada's

1 range.

2 So that's what bond buyers are saying and
3 they are the people that are actually buying the
4 bonds and they are putting their money on their
5 forecast. And then we got RBC which is quite
6 aggressive and right now, all I am saying is that
7 in order to get that down, we've got to slow down
8 the economy.

9 And if you look at the yields, the two year
10 bond is yielding three point one percent (3.1%),
11 the five year three point one eight (3.18), the
12 seven year three point two one (3.21), the over ten
13 three point two seven (3.27), the long term three
14 point one eight (3.18). That is what call a flat U
15 curve.

16 Normally, there is a spread of about one
17 point two five percent (1.25%), long term bond
18 yields over the short term yields we do not see
19 that at the moment. And why we do not see that at
20 the moment, is the Bank has already pushed short
21 term interest rates and the market believes that
22 interest rates are going to come down and that
23 we're going to have a recession. Or at least a slow
24 down.

25 Personally, I think the consumer demand is

1 too strong and I wouldn't be at all surprised to
2 see short term interest rate go up even more, an
3 inverted yield curve and will have a heavy... a
4 more serious recession.

5 So right now, this is one of those
6 situations where the capital market is signalling a
7 soft landing and we get back to one to three
8 percent (1-3%) inflation and all what I am doing is
9 saying that I personally have my doubts. I think
10 there is a serious probability that inflation will
11 get embedded in the system.

12 And I watch the U.K. news all the time.
13 Transport workers in the U.K. are about to strike.
14 They have got major strikes in the U.K. coming up,
15 because they want to catch-up, they want
16 compensation for the nine percent (9%) inflation in
17 the U.K., over the last year.

18 And once you start getting catch-up, it
19 will spread to other unions and other people will
20 want compensation, and you then start getting
21 embedded in price increases.

22 This is what the Bank was slow to react to,
23 because once you start doing that, you have to get
24 more serious increases in interest rates in order
25 to slow down the economy and get that out of the

1 system.

2 But we are already hearing about people
3 saying they want to catch-up. And that means, it
4 gets reflected in future prices. So I think that we
5 are in a situation, right now, the central banks
6 were late in increasing interest rates and they are
7 worried that it gets out of control. I got a good
8 suspicion that they may already have got out of the
9 control of the central banks.

10 Q. **[161]** I have a question on that. Do you agree with
11 me that it is unlikely that we will see inflation
12 rate back down to the two percent (2%) target,
13 before at the earliest in two thousand and twenty-
14 five (2025)?

15 R. I think that is probably correct and I think it all
16 depends, as I said, on the political will of the
17 central bank, and the central bank is independent,
18 but is strongly affected by government policy.

19 Q. **[162]** I am done speaking about interest rates,
20 changing topic, topic completely. This... I have a
21 very very short topic to do now, so perhaps we
22 could continue.

23 A. Sure, you didn't find any more typos on my interest
24 rates?

25 Q. **[163]** I am sorry?

1 A. You didn't find any more typos on my interest rate?

2 Q. **[164]** Well there is a few, but I do not want to do
3 them all, we will argue that.

4 Now, we'll talk about the MRP, an input
5 into the CAPM. You discussed, if you go to your
6 evidence, at page 50. And you will see, I'll be a
7 lot shorter on this topic than I was on the prior
8 one. But starting at page 50, and if you flip up to
9 page 61 of your evidence, you discuss the market
10 risk premium there, so those eleven (11) pages and
11 you also discuss it at Appendix B of your evidence.
12 Is that correct?

13 R. That's correct.

14 Q. **[165]** And if we look at page 61, so at the end of
15 that section in the... in your report, not in the
16 appendices, you come up with a proposed market risk
17 premium estimate of five point five to six percent
18 (5.5 - 6%), is that correct?

19 R. That's correct.

20 Q. **[166]** Now, to arrive at this number, you look at a
21 variety of sources, as we can see from your
22 Appendix B, but the number you choose, the actual
23 range that you use, is not taken from any of those
24 sources, it is your own number, correct?

25 R. That's correct, it's my judgment of the moment. Two

1 thousand eleven (2011), I think I used five (5) to
2 six percent (6%), because that's where the historic
3 statistical data is. Canada at four point eight
4 (4.8), U.S. at six point two (6.2).

5 Q. [167] Okay. Now, if I were to ask you for your
6 calculation sheet, a mathematical calculation that
7 would show how you arrived at your estimate of
8 between five point five and six percent (5.5-6%),
9 you could not give me one? That is not a
10 calculation that you did, correct?

11 R. No, that is a judgment. I look at the historic
12 evidence and I look at what other people are
13 saying, I look at what Duff & Phelps is saying and
14 look at what the survey results of Fernandez is
15 saying.

16 If I did an average of all of those
17 numbers, it would come out at... I don't know, five
18 point six two five (5.625), which gives a spurious
19 degree of accuracy. So if you believe the historic
20 U.S. evidence, it would be a little bit outside of
21 my range. If you believe the Canadian evidence, it
22 would be below that range. If you believe Duff &
23 Phelps and Fernandez, it would be exactly five
24 point five percent (5.5%).

25 So I am confident that is a reasonable

1 number.

2 Q. **[168]** But it is not, despite...

3 R. It is not a mathematical calculation.

4 Q. **[169]** That is it, okay. Là... I am just going to
5 speak French, give me one second. Je m'apprête à
6 changer de sujet qui peut être un sujet un peu plus
7 long. Je peux, ça ne me dérange pas de continuer
8 jusqu'à midi et demi (12 h 30) s'il faut, mais je
9 veux juste avertir la Régie que si jamais vous
10 vouliez arrêter avant, là c'est un nouveau sujet.

11 LE PRÉSIDENT :

12 Oui oui, allez-y, on peut continuer.

13 Me PATRICK OUELLET :

14 Parfait.

15 Q. **[170]** Now, I'd like you to... Madame St-Cyr, si
16 vous pouviez mettre le document B-0376. I'll show
17 you a document, Dr. Booth, that you will be for
18 sure be familiar with.

19 R. Never seen it before in my life!

20 Q. **[171]** So, just before... we see it's a book called
21 Corporate Finance. I actually the original with me.

22 R. You bought it!

23 Q. **[172]** I did not.

24 R. Because I think I sold about two hundreds (200)
25 copies.

1 Q. [173] I borrowed it. I didn't buy it.

2 R. Oh, shame on you.

3 Q. [174] I'll maybe buy it after the cross-examination
4 we'll see how that goes. So, this book, Dr. Booth,
5 that you authored, should I... well. I won't ask
6 you if you're familiar with it. I think it's yes.
7 But, is this the book that you use to teach your
8 students?

9 R. No.

10 Q. [175] It's not. So, what's that book exactly?

11 R. This book... Why the Canada people really like that
12 book, Introduction to Corporate Finance, and at the
13 time, there was a lead marketing person that wanted
14 to take that book and sell it in the United States.
15 And it was the first book by Wiley produced in
16 Canada that they wanted to sell into the United
17 States. So they got Pamela Peterson Drake from the
18 US university, I'm trying remember the name of the
19 university she's at, she Americanised our Canadian
20 book. But, I can tell you in all honesty where
21 Canadian are used to use Canadianised American
22 books, Americans don't like Americanised Canadian
23 books. And in particular, they had a competing book
24 and not being to trade shows, well, conferences
25 where they had all those books, Wiley never ever

1 marketed this book in the United States. So, I
2 think we got two or three hundred sales. So you
3 have a rare book. Don't give it back. It could be
4 worth a lot of money in twenty (20) years time.

5 Q. [176] Okay.

6 R. The rest of them probably have long since been
7 destroyed.

8 Q. [177] So your colleague, Pamela Peterson Drake, was
9 at University of North Carolina. Is that.. or...

10 R. No. she's not...

11 Q. [178] Miami?

12 R. No. She was at a university in Virginia and
13 it's...it should be, the name should be on the
14 book. But...

15 Q. [179] I don't think anything will turn on that so,
16 I think we can continue. Unless you want to talk
17 about Pamela Peterson Drake more. I don't want to
18 interrupt you, but...

19 R. No. I just felt very sorry for her. Because she got
20 the contract to Americanised that book and she
21 reduced it in terms of chapters and put a lot of
22 work into it. And then, they didn't market the
23 book. So, as I said, I think I probably made three
24 or four hundreds of dollars (300-400\$) in royalties
25 out of it.

1 Q. **[180]** Okay. Can we go to page 339 of the extract?
2 So, yes. Page 339, we see there's a subtitle Beta
3 there. I will be reading from the last paragraph of
4 that page.

5 Estimating beta coefficients is tricky
6 because we are interested in the
7 extent that an asset's returns move
8 with the market over a future period.
9 We typically estimate beta
10 coefficients by using historical data,
11 which assumes that what has happened
12 in the past is a good predictor for
13 the future. Typically, betas for
14 securities are estimated by using 60
15 months of monthly returns, but
16 sometimes 52 weekly returns are used.

17 You see that?

18 R. I do.

19 Q. **[181]** So, for the purposes of your report, you used
20 60 months of monthly returns, is that is?

21 R. That's correct.

22 Q. **[182]** Now, but in this book you also write that
23 sometimes fifty-two (52) weekly returns are used.
24 So that's also correct?

25 R. Yes. We also... they sometimes use daily returns.

1 Q. **[183]** Sometimes daily returns as well. But that's
2 not as typical as weekly, correct?

3 R. Well. Weekly isn't typical either. That's why I say
4 sometimes, sometimes people use weekly returns.

5 Q. **[184]** But surely, if that was wrong, you would have
6 said so in your book, if it was wrong to use fifty-
7 two (52) weekly returns.

8 R. There's nothing wrong in the sense of making an
9 estimate. You can use a variety of techniques to
10 estimate. But the data tapes that academic use are
11 monthly returns. So it's difficult to estimate
12 betas other than using monthly returns.

13 Q. **[185]** It's just I have trouble understanding why
14 you go to the trouble of writing in your book that
15 sometimes fifty-two (52) weekly returns are used.
16 Are they used sometimes or they are not used?

17 R. Well, that sentence says that sometimes fifty-two
18 (52) weekly returns are used. It's not what I would
19 regard... they are not standard but sometimes
20 people using them and as I said sometimes... the
21 data tapes that we academics use are monthly
22 returns and they have daily returns. They do not
23 have weekly returns. So, getting weekly returns
24 sometimes people have used them, because the big
25 problem, you need a lot of observations in order

1 to reduce estimation error. So sometimes people
2 have used fifty-two (52) weekly returns, but it's
3 not standard.

4 Q. **[186]** And you'll agree with me that if we were to
5 use one year or fifty-two (52) weekly returns, that
6 would have the effect of increasing the beta in
7 this case, correct?

8 R. Yes. What we do know is that the shorter the time
9 period of which you're estimating the returns, the
10 more likely you get stalled dat for thinly traded
11 stocks. And as a result, they will appears to be
12 low risk. Well, they are not low risk they just
13 haven't had a price change. And conversely thickly
14 traded stocks, that trade frequently will tend to
15 get higher betas. So it's an estimation problem in
16 what we call the intervalling-effect. So, that
17 using fifty-two (52) weekly returns is more likely
18 to get a slightly highest high estimate for thickly
19 traded stocks versus thinly traded stocks.

20 Q. **[187]** Can we go to Appendix C of your evidence
21 which is C-ACIG-0040.

22 R. Yes.

23 Q. **[188]** We'll just wait for madame St-Cyr to project
24 that on the screen. And, it would be page 12, the
25 actual page number, I don't know if it's the same

1 as the PDF page. Yes. There we go. I think we are
2 good. So, under... you have a kind of a chart, near
3 the middle of that page. And then, at line 10, I'll
4 just read from your report:

5 It is also of importance that the way
6 these estimates are derived appears to
7 be consistent with conventional
8 practices. One of the biggest data
9 providers in Canada is the Financial
10 Post, where their Corporate Analyzer
11 data base includes ten year financial
12 data for larger publicly listed
13 Canadian companies. Their definition
14 of beta is...

15 So we see that you highlight the fact that the
16 Financial Post includes ten years financial data.
17 But let's me read here what is the definition that
18 you quote:

19 Beta (Corporate Profiles) Beta factors
20 are derived from a historical
21 regression of percentage share price
22 changes for the selected company on
23 percentage changes in the TSE 300
24 price index. The unadjusted slope
25 coefficient from this regression is

1 the beta factor. Beta factors may be
2 computed on a variety of weekly or
3 monthly data. Betas shown in FP
4 Analyzer are for 52 weeks, 36 months,
5 60 months and 120 months.

6 So, the hundred and twenty (120) months is the ten
7 years that you refer to at line 12 of your
8 evidence, correct?

9 R. No. The ten year financial data is because they
10 provide ten years of things like net income, sales,
11 costs. It's ten years of corporate financial data,
12 not ten years normally of betas estimates. But you
13 can do ten years betas estimates if you want.

14 Q. **[189]** But, do you agree with the definition
15 there... which says: "Beta factors may be computed
16 on a variety of weekly or monthly data". You agree
17 with that?

18 R. Yes. You can estimate betas over anytime horizon
19 you like and the frequency. This was an issue
20 before the Alberta Utilities Commission in two
21 thousand and sixteen (2016) and they asked me
22 directly does it matter whether the, the betas
23 estimated are on a weekly versus monthly betas
24 matter. And I said, well, theoretically there's no
25 difference. The risk measure picking it up on a

1 weekly versus a monthly versus a daily basis,
2 shouldn't make any difference. And I said the only
3 problem could be thinly traded stocks. And I left
4 it at to that and then I went back and did some
5 research on it and found this paper by... I forgot
6 his name, Italian name, on betas, where it tends to
7 be that we get this intervalling-effect. Hawawini,
8 Gabriel Hawawini. Which is the thinly traded
9 stocks.

10 So you can estimate them however you like.
11 The question is whether or not they are biased or
12 unbiased in what you trying to estimate, which is
13 the beta. And the more frequently, the shorter the
14 time horizon for the return, the more likely you
15 are going to get a thinly traded stock that the
16 price does not change and as a result, it appears
17 to be low risk.

18 Q. [190] Now, pardon my pronunciation here, but you
19 are familiar with Aswatt Damodaran?

20 R. Your guess is as good as mine.

21 Q. [191] Okay.

22 R. I have heard him referred to as Damodaran or
23 Damadoran. He is Indian and he is at NYU, and I
24 reference to him in terms of the market risk
25 premium.

1 Q. **[192]** Yes. Well, I think just, I just want to make
2 sure, he is the same person than the one you refer
3 to at page 25 of your slides that we looked at this
4 morning?

5 R. Yes, I think there is only one.

6 Q. **[193]** Yes. That is what I thought.

7 R. There's lot more than one, but there is only one
8 famous professor with that name, I think.

9 Q. **[194]** Now, I assume you are aware and correct me if
10 I am wrong, but you do aware that Damodaran uses
11 Bloomberg data and looks at two to five years to
12 establish his betas, correct?

13 R. Well, I wasn't aware of that, but I believe you
14 subject to check.

15 Q. **[195]** Okay. But my point here, there is a variety
16 of sources that suggest that betas can be estimated
17 in many different ways but you do it using five
18 years of monthly data, correct?

19 R. That's correct. That is the standard way of
20 estimating betas.

21 Q. **[196]** Well, it is...

22 R. Unless you're writing back to Dr. Vilbert of
23 Brattle that is the way he estimated in two
24 thousand and nine (2009). He estimated five years
25 of monthly data for betas and I think he also used

1 five years of weekly data. So the game is to try
2 finding the truth rather than being doctrinaire on
3 this.

4 Q. **[197]** Well, that is... I think we are saying the
5 same thing. There is not only one way to proceed.

6 R. That's correct.

7 Q. **[198]** Okay.

8 R. But there is not only one way to proceed, but as I
9 said, the shorter the time period, the more likely
10 the beta is going to be overestimated for thickly
11 traded stocks and underestimate for to thinly
12 trading stocks. That is just what appears to
13 happen. Thinly are not traded as much.

14 Q. **[199]** And for a stock that is not thinly traded or
15 thickly traded...

16 R. Yes, thickly is traded all the time, so the prices
17 are never stale. But remember, the betas have to
18 average up to one. So thinly traded stocks are less
19 than one, they are underestimated, thickly trading
20 stocks are the opposite, they are overestimated.

21 Q. **[200]** So, excuse my pronunciation, I have trouble
22 the thin and thick here, but if a stock is not
23 thinly traded nor thickly traded, then that would
24 make a difference, using weekly's or monthly's?

25 R. True. I mean, at the extreme, you are going to get

1 stocks that are traded all the time and then some
2 stock that are never traded at all. And then, you
3 got stocks in the middle, that basically may not
4 trade every day but they generally trade.

5 Q. **[201]** Okay.

6 R. But it depends how big the stocks are.

7 Q. **[202]** Do you agree with me that betas are a forward
8 looking adjustment?

9 R. You'll have to explain what you mean. Betas are
10 historic estimate.

11 Q. **[203]** Yes, but they...

12 R. Yesterday's temperature was twenty degrees, it is
13 what it is.

14 Q. **[204]** Like are they not used to predict the future
15 reaction of the stock?

16 R. We do use it for some predictions to make, to
17 determine excess returns. So for example, if you
18 got a high beta stock and you want to workout, how
19 did it react to a news' announcement. You need to
20 know what was the normal expected price and then
21 work out the unexpected price, to work out the
22 reaction and we tend to use those, for event
23 studies we actually tend to use daily returns and
24 daily betas, because we want to know how did
25 something react to a rather short window.

1 But that is not a forecast, it is trying to
2 sort of get an estimate of an excess return to work
3 out how did the market respond, for example to a
4 dividend cut or firing the chief executive officer.

5 Q. [205] I...

6 R. That to say... sorry.

7 Q. [206] No, I am sorry, I did not want to cut you, I
8 was about to say that was finishing this topics.
9 But if you have something to add, by all means, go
10 ahead.

11 R. I have seen betas used to forecast volatility and
12 how good beta predictions are, but in all cases,
13 well let's dial back to two thousand and six (2006)
14 or two thousand seven (2007). I cannot remember
15 what I said when Dr. Chrétien was here providing
16 testimony, but that was just after the tech bubble
17 blew up, when all the internet stock blew up, when
18 Nortel went bankrupt and JDSU Uniphase and it
19 brought down the Canadian stock market.

20 During that period, the realized betas were
21 negative. So if I came here and I said to... if I
22 had come here in two thousand and seven (2007) and
23 said: a beta of minus point one (-.1) for utilities
24 should be used to set the fair rate of return, that
25 is nonsense. It was nonsense, because the realize

1 beta just happens to reflect the circumstances of
2 that term. So we all adjust betas, that is not the
3 question. The question is how do we adjust betas.

4 Q. [207] Donc, ça va... je m'apprête à changer de
5 document. Donc, peut-être que c'est un bon moment
6 pour prendre la pause?

7 LE PRÉSIDENT :

8 Oui, c'est un bon moment. Alors, on complète, on
9 arrêterait tout de suite et on reprend à treize
10 heures (13 h 00).

11 Me PATRICK OUELLET :

12 Je peux donner une indication aussi, là, j'ai
13 beaucoup plus que la moitié...

14 LE PRÉSIDENT :

15 Oui.

16 Me PATRICK OUELLET :

17 ... j'ai plus que la moitié de mon contre-
18 interrogatoire de fait, donc, si ça peut vous
19 donner déjà une indication, là, pour la suite.
20 J'estime que j'en ai environ pour une heure,
21 encore.

22 LE PRÉSIDENT :

23 O.K. Très bien.

24 Me PATRICK OUELLET :

25 Merci.

1 Me PAULE HAMELIN :

2 Est-ce que, Maître Cloutier, avec votre permission,
3 J'ai vu que vous avez produit d'autres documents.
4 Naturellement, je ne suis pas avec Dr. Booth, là,
5 et ce n'est pas à sa connaissance. Est-ce qu'on
6 peut au moins lui transmettre les documents que
7 vous avez produits?

8 Me PATRICK OUELLET :

9 On pourrait vous les envoyer, Maître Hamelin, par
10 courriel puis vous pourrez les faire suivre ou
11 peut-être lui montrer sur le site de la Régie où
12 les trouver, là.

13 Me PAULE HAMELIN :

14 Oui, bien c'est ça, mais je ne voulais pas le
15 faire, parce qu'il est en contre-interrogatoire,
16 donc, je voulais juste avoir votre permission pour
17 au moins bien lui identifier ce que vous avez
18 produit.

19 Me PATRICK OUELLET :

20 Moi, je n'ai pas d'objection, Maître Hamelin, vous
21 avez toute ma confiance, là, à lui identifier où,
22 sur le site de la Régie, les documents se trouvent.

23 Me PAULE HAMELIN :

24 Parfait, merci.

25

1 Me PATRICK OUELLET :

2 Donc, on reprend à une heure (1 h 00)?

3 LE PRÉSIDENT :

4 Oui.

5 Me PATRICK OUELLET :

6 Parfait, merci beaucoup.

7 LE PRÉSIDENT :

8 Merci.

9 Me PAULE HAMELIN :

10 So, Dr. Booth, we are resuming for lunch and we are
11 coming back at one o'clock (1 :00).

12 R. Okay, I will still be here.

13 Me PAULE HAMELIN :

14 And just a second, Dr. Booth, I will communicate
15 with you to let you know that some documents have
16 been put in the record. So I am allowed to speak to
17 you, just to identify those exhibits to you.

18 R. Okay. So we just stay on the line and you are going
19 to show them to me?

20 Me PAULE HAMELIN :

21 I can do that.

22 R. Then everybody knows exactly what we are doing.

23 Me PAULE HAMELIN :

24 For sure, no problem.

25

1 LE PRÉSIDENT :

2 Merci.

3 SUSPENSION DE L'AUDIENCE

4

5

6 REPRISE DE L'AUDIENCE

7 LE PRÉSIDENT :

8 Rebonjour, alors, nous sommes prêts à poursuivre.

9 Me PATRICK OUELLET :

10 Bonjour.

11 Q. **[208]** Good afternoon, Dr. Booth.

12 R. Good afternoon.

13 Q. **[209]** Can you please go to Appendix C of your
14 evidence, which is C-ACIG-040.

15 R. Yes.

16 Q. **[210]** At page 11.

17 R. Yes.

18 Q. **[211]** And then, Madame St-Cyr will put that on the
19 screen for us. O.K. Exactement. Pouvez-vous monter
20 un tout petit peu? O.K. Ça va comme ça, ça va bien.

21 So we have, around the middle of that page,
22 we have a chart where we see six Canadian
23 utilities. So these six companies, that's not Dr.
24 Villadsen's sample, correct?

25 R. No, these are the three utilities and the three

1 pipelines that I have used for some time. The only
2 addition is been Pembina, because they bought Fort
3 Chicago Partners that became Veresen. Otherwise,
4 these are the same companies I have been using for
5 some time.

6 Q. **[212]** Okay, that is your own sample?

7 R. Well, it is not so much a sample. They are the only
8 ones I could possibly valid with Ontario Hydro's,
9 it's the universe.

10 Q. **[213]** Okay. So it is all the companies that you
11 used to compare the utility with?

12 R. They are the ones that I have used for a
13 significant period of time, and obviously they have
14 evolved over that period of time.

15 Q. **[214]** Okay. I just wanted to make it clear that
16 it's not a Dr. Villadsen's sample that we are
17 looking at here? It has nothing to do with Dr.
18 Villadsen, correct?

19 R. That's correct. Dr. Villadsen adds Ontario Hydro
20 and AltaGas, which I don't have.

21 Q. **[215]** Okay. Now, you have, there is a column to the
22 right that is entitled "Booth", obviously, those
23 are your estimates.

24 R. That's correct.

25 Q. **[216]** Now can one see, from your evidence what time

1 horizon you use for the estimations that we see
2 there?

3 R. I normally state that I use five years of monthly
4 observations. The select...

5 Q. **[217]** Well, maybe in order to save time, Dr. Booth,
6 I haven't found it, I see just over, just over the
7 chart, you write:

8 CFRA, Reuters, Yahoo and the Royal
9 Bank of Canada, on January twenty
10 (20), as well as my own estimates with
11 data up to December 2021.

12 But it doesn't say from when.

13 R. Okay, I'll take that subject to check. They are
14 five years of monthly betas that's... that I
15 update.

16 Q. **[218]** What I would like to have, Dr. Booth, as an
17 undertaking, well, before I ask the undertaking,
18 you have an estimation for TransCanada, you have
19 one for Enbridge, you have one for Canadian
20 Utilities and we see the result at the column to
21 the right. Does there exist a calculation sheet for
22 each of those calculations that you made here?

23 Me PAULE HAMELIN :

24 Je m'objecte, il a déjà répondu à cette question-
25 là, vous lui avez posée avant la pause.

1 Me PATRICK OUELLET :

2 Non, ce n'était pas la même, ce n'était pas la
3 même.

4 Me PAULE HAMELIN :

5 O.K.

6 R. If you turn to Schedule 5, of that Appendix.

7 Me PATRICK OUELLET :

8 Q. **[219]** Of that Appendix, okay.

9 R. Yes.

10 Q. **[220]** Let me just get there. Okay.

11 R. You'll see that I have all the estimates for all of
12 the companies. So for example, in two thousand and
13 eleven (2011), I was using Veresen in my sample,
14 the old Fort Chicago Partners, and I was using GMI.
15 And then, since then GMI obviously is no longer
16 publicly traded. So the estimates stop to two
17 thousand eighteen (2018) and Veresen was acquired
18 by PP Pembina which I added Pembina.

19 Q. **[221]** I am not following you. Where are you in your
20 Schedules?

21 R. Schedule 5.

22 Q. **[222]** Okay, that is... I have one page on Schedule
23 5.

24 R. That's correct. And I've got the estimates for...

25 Q. **[223]** Okay.

1 R. ... for all of my companies, and those are the
2 companies, essentially I've been using for a
3 significant period of time, because I need long
4 periods of time in order to assess how the risk has
5 changed over time, if any. And I think... I don't
6 know whether I was asked to provide the underline
7 data as... in answer to an information request. I
8 have may have been... Sometimes I am, and that
9 request normally ask me to lead the way it was
10 estimated in a spreadsheet.

11 Q. **[224]** Okay.

12 R. But I cannot remember whether I was asked at this
13 time.

14 Q. **[225]** Okay. Well, let me see if I am following you.
15 So we have, for TransCanada, back to page 11, we
16 have for TransCanada, you, well... first of all,
17 TransCanada, that is TC Energy, right? That is the
18 same company?

19 R. That is right, but I mean not many people know who
20 TC Energy is, it's TransCanada.

21 Q. **[226]** Okay. So you have point seven six (.76) that
22 you come up with your estimate for TransCanada.
23 Where am I going to find that on Schedule 5?

24 R. If you look at Schedule 5, under TRP.

25 Q. **[227]** Okay.

1 R. Which is TransCanada, you find point seven six
2 (.76).

3 Q. **[228]** Okay, point seven six (.76), I see that, so
4 that, at the end of December twenty twenty-one
5 (2021).

6 R. Yes.

7 Q. **[229]** And on...

8 R. You see point nine seven (.97).

9 Q. **[230]** Okay, but I do not see, but this Schedule
10 does not allow me to see if you looked five years
11 of monthly data or what not? Can I see that from
12 the Schedule?

13 R. No, you can't.

14 Q. **[231]** Okay.

15 R. And I... let see. The... I am surprised I didn't
16 say it, I must have edited it out at some point in
17 time.

18 Q. **[232]** Well. What I would like to have is really
19 a... well, I don't want...

20 R. Page 3.

21 Q. **[233]** Page 3 of?

22 R. Of my Appendix C. Where, I am referring to the
23 utility subindex, and if you read on line 7 of page
24 3...

25 Q. **[234]** Okay. And Schedule 1, is a graph of rolling

1 betas on Canadian utility subindex since nineteen
2 eighty-eight (1988)?

3 R. That is right. And if you read on page 3, line 7, I
4 say:

5 Betas are normally estimated over the
6 prior five years since the basic data
7 sources historically used monthly
8 data, so the first observation is from
9 January nineteen eighty-eight (1988)
10 until December nineteen ninety-two
11 (1992) and then each month as a new
12 return is available the five-year
13 estimation window moves forward a
14 year. This process is repeated using
15 two estimation techniques...

16 And then, I explain them.

17 That is the way I estimate my betas and I
18 estimate them exactly the same for the Canadian
19 securities as I used to estimate for the utility
20 index.

21 Q. **[235]** So I think I am following you, but I am not
22 sure. So let me just make sure. So what you are
23 saying is that you looked at data up to nineteen
24 eighty-eight (1988) to estimate the betas?

25 R. No. When I estimate the betas, the subindex of the

1 Toronto Stock Exchange was reorganized and the
2 current structure was pushed back to nineteen
3 eight-eight (1988) and then I estimate the betas
4 and then every month, as there is a new month's
5 observation, I drop to five year observation and I
6 add the new one. So the beta is basically re-
7 estimated every month going forward from nineteen
8 eighty-eight (1988).

9 So that is how I manage to get what looks
10 like a reasonably continuous series of betas
11 estimates.

12 Q. **[236]** Okay. So if, the minute a new month's data
13 comes out, you drop what is five years and one
14 month prior?

15 R. That is exactly right.

16 Q. **[237]** Okay.

17 R. That way you can look back over a long period of
18 time and get an idea whether the betas are trending
19 towards one or whether they are stable or
20 whether... or what is happening.

21 Q. **[238]** Okay. So can I get... so I assume there would
22 exist a calculation sheet of some sort, for you to
23 arrive at all the figures that we see in the column
24 "Booth" of page 11? So, for example, TransCanada,
25 we just looked at, is there a calculation sheet

1 that would show me how you arrived at that, with
2 the precise calculations?

3 R. I could tell you, but I mean, I have estimated
4 using the standard ordinary least squares
5 regression. The beta is simply the slight
6 coefficient of the return on the stock against the
7 return on the market.

8 Q. **[239]** But... I am sorry.

9 R. So I built a spreadsheet with all of that.

10 Q. **[240]** That is what I want.

11 R. It evolved in a spreadsheet and I thought I was
12 asked to provide that as an information request, as
13 normally I am.

14 Q. **[241]** Well, excuse me, if you did, I have not seen
15 it and that could very well be my mistake, but I
16 don't think I have seen it and... well I know I
17 haven't seen it, and I don't think it is there, so
18 what I would like to have are the calculations, as
19 an undertaking...

20 R. Okay.

21 Q. **[242]** ... so the calculation sheets for all of the
22 six figures that we see in the column "Booth", so
23 the one for TransCanada, Enbridge, Canadian
24 Utilities, Emera, Fortis and Pembina. So I would
25 like to have the calculation sheets to arrive at

1 all those numbers.

2

3 E-5 (ACIG): Transmit the calculation sheets for
4 all of the six figures seen in the
5 column "Booth" (asked by EGI)

6

7 R. That's fine. As you can see, they are almost
8 exactly the same as the Royal Bank of Canada's, but
9 what I could do is extract that data, put it in an
10 Excel file and provide it as an undertaking.
11 Because that's one... it's one observation for each
12 of the six companies including the last year of
13 December twenty twenty-one (2021).

14 Me PAULE HAMELIN :

15 Alors, j'ai bien noté la... I have taken note of
16 the undertaking. The only thing I just question
17 Dr. Booth, do you have any confidentiality issue
18 with respect supplying the spreadsheet?

19 R. No, none of my data is confidential.

20 Me PAULE HAMELIN :

21 Okay, perfect, I just wanted to make sure, thank
22 you.

23 Me PATRICK OUELLET :

24 Q. **[243]** Now, we see still on page 11, the column in
25 the middle is Yahoo. Do you see that? Is it to your

1 knowledge that Yahoo uses three years of monthly
2 data, to calculate its betas?

3 R. No, Yahoo uses five years of monthly data.

4 Q. **[244]** You are sure of that?

5 R. I am positive about that, because I was asked that
6 in an information request and I've provided it.

7 Q. **[245]** Okay. So I will see that in the information
8 request. So you have backup to show that Yahoo uses
9 five years?

10 R. Absolutely, what I did was take a screen capture of
11 one of the company's profile in Yahoo, and under
12 the beta, it had five years monthly data.

13 Q. **[246]** Are you sure that is Yahoo?

14 R. Positive it is Yahoo, I use Yahoo all the time.

15 Q. **[247]** Okay.

16 R. In fact, I can pick it up right now and verify it.

17 Q. **[248]** Okay.

18 R. If you want it...

19 Q. **[249]** Well, we will see at the break if it is
20 necessary or not. Okay, so we have your average at
21 point seven four (.74), we have your median at
22 point six seven (.67), but if we look at page 13 of
23 your Appendix C, lines 18 to 20.

24 R. Yes.

25 Q. **[250]** I will just let, Madame St-Cyr, we have that

1 here, so, what you say at the end of that Appendix
2 is... given the marginal increases in the... I
3 guess you mean betas, here?

4 R. Yes, I am afraid I'm -- constantly Words changes,
5 whenever I am writing beta, that's another word
6 that Words doesn't seem to recognize.

7 Q. **[251]** Okay, that is one I hadn't picked-up on that
8 yet... so:

9 Given the marginal increases in the
10 betas, I would therefore tend to be
11 conservative and increase the range to
12 point five to point five five (.5-.55)
13 with a mid-point of point five two
14 five (.525) which has historically
15 been about the grand mean of the
16 utility betas.

17 R. That's correct.

18 Q. **[252]** So the beta that you use, the beta that you
19 use is point five two five (.525), correct?

20 R. Yes. Point five (.5), I got two estimates, point
21 five (.5), point five five (.55), the mean is point
22 five two five (.525).

23 Q. **[253]** Now, your report obviously does not contain
24 any mathematical calculation to show how this
25 estimate of point five two five (.525) is arrived

1 at, correct?

2 R. Well, it is an average of point five (.5) and,
3 point five five (.55).

4 Q. **[254]** No, no. I am not, I am not... that is not my
5 question. Maybe I misspoke but what I am saying is:
6 forget the point five two five (.525), I am talking
7 about the range, point five (.5) to point five five
8 (.55). I don't see any calculation that brings you
9 there. I see calculations that bring you to point
10 seven four (.74), to point sixty-seven (.67). I
11 don't see anywhere a calculation to bring us to
12 that range of point five (.5) to point five five
13 (.55). Is that correct?

14 R. But there is no calculation that brings me to point
15 seven four (.74) because that is the calculation
16 for the average of the three pipelines as well as
17 the three utilities. The... I have used the range
18 of point four five (.45) to point five five (.55)
19 for the betas for utilities for at least the last
20 decade, and when I look at this, the... I had the
21 estimate of point five eight (.58) for Canadian
22 Utilities. So if you look at the CUL on Schedule 5,
23 you see the CUL is the only utility that is really
24 a Canadian utility. In the sense it owns ATCO Gas,
25 ATCO Electrical, ATCO Pipe, it owns other things,

1 but both Emera and Fortis have increasingly bought
2 a lot of US operations. And they're involved in a
3 lot of mergers and acquisitions activities. So
4 while we would look at this and saying well, the
5 only pure Canadian utility there is Canadian
6 Utilities at point five eight (0.58).

7 When I look at the, the mean for the betas,
8 the grand mean coming out of my beta estimation
9 model was point five two five (0.525). When I look
10 at the, the betas over the last, the last most
11 recent period two thousand and seventeen to two
12 thousand and twenty-two (2017-2022) on Schedule 2,
13 the beta is point four nine four (0.494) which is
14 basically point five (0.5). So, we've got point
15 five (0.5) for the Utilities subindex, the most
16 recent beta. We got point five eight (0.58) for
17 Canadian Utilities and we've got point five two
18 five (0.525) or five point two (5.2) as the beta,
19 long-run betas' tendencies for the grand mean in
20 Canada. So, I'm comfortable basically saying that
21 betas have increased a little bit.

22 Q. [255] Do you want me to repeat my question Dr.
23 Booth?

24 R. You asked me about if I got a specific calculation?

25 Q. [256] I want to see the calculation, not for the

1 point five eight (0.58) of Canadian Utilities, not
2 for anything else. I want to see the calculation
3 that brings you to what you use, which is a beta in
4 the range of point five (0.5) to point five five
5 (0.55).

6 R. O.K. Well, the point five (0.5) comes from the
7 value in Schedule 2. If you look at Schedule 2...

8 Q. **[257]** Of Appendix C?

9 R. Of Appendix C. And if you look at the, there's two
10 regression results there.

11 Q. **[258]** Hum hum.

12 R. And on the left it's the long run regression
13 results going back to the overall period to
14 nineteen eighty-seven (1987). And the beta there is
15 point three (0.3). And the beta for the last five
16 year period is point four nine four (0.494).

17 Q. **[259]** I'm losing you. Just can you point. You can't
18 show me with your finger obviously but,...

19 R. Well if you look at the... it's the coefficient on
20 the TSX, which is what the beta covers.

21 Q. **[260]** Okay.

22 R. So, on Schedule 2, the second set of regression
23 results, for two thousand and seventeen to two
24 thousand and twenty-two (2017 to 2022) the TSX is
25 nought point four nine four (0.494). So if you

1 want to be precise, I could say my values is point
2 four nine four (0.494) to point five five (0.55).

3 Q. **[261]** Can you, please, repeat.

4 R. But if you really want to be precise, it will be
5 point four nine four (0.494) to point five eight
6 (0.58).

7 Q. **[262]** And, so your point five eight (0.58) is
8 still... is found in that schedule as well or is
9 Canadian Utilities?

10 R. Point five eight (0.58) is Canadian Utilities, it's
11 the only utility in Canada that we've got, that has
12 not gone hell to scale through mergers activities
13 over the last ten years.

14 Q. **[263]** Okay. But, my understanding is that the point
15 five eight (0.58) for Canadian Utilities you
16 actually came up with using five years of monthly
17 data. Correct?

18 R. The last five years.

19 Q. **[264]** Now, I'm asking you, so that's the far end of
20 the range. I just don't see any calculations using
21 five years of monthly beta for various companies
22 that brings you to that range of point five (0.5)
23 to point five five (0.55) that you're using.

24 R. Well, the point five (0.5) as I said, basically is
25 the sub utility, the Utilities subindex which is

1 point four nine four (0.494). Now you might
2 privilege a new point four nine four (0.494)
3 instead of point five (0.5), but with regards they
4 are not that precise, so...

5 Q. **[265]** But the Utilities subindex that is with data
6 going back in nineteen eighty-seven (1987),
7 correct?

8 R. No no no. There's two... if you check Schedule 2,
9 there are two estimates. One covering the overall
10 period which is to the left and one covering the
11 most recent five year period. Which is, which is
12 the Utilities subindex, the last sixty (60)
13 observations and the coefficient on the TSX which
14 is the beta coefficient is nought point four nine
15 four (0.494). So that point four nine four (0.494)
16 on the second set of results per Schedule 2, that
17 is the most recent beta estimate of the last five
18 years monthly returns for the Utilities subindex of
19 the Toronto Stock Exchange.

20 Q. **[266]** Okay.

21 R. If you want it to be absolutely precise, point four
22 nine four (0.494) to point five eight (0.58). But
23 as far as I'm concerned... these things are not
24 that precise. Point five (0.5) to point five five
25 (0.55) I think is a reasonable range. Because I

1 haven't seen a point five eight (0.58) number like
2 Canadian Utilities for a long time.

3 Q. **[267]** If we look at Appendix C again. If we look at
4 the schedules in Appendix C. There's various
5 schedules. Schedule 1.

6 R. Yes.

7 Q. **[268]** So. This, here you look at data from the mid
8 point in twenty twenty-one (2021) all the way back
9 to nineteen ninety-two (1992). Correct? It's what I
10 see here?

11 R. It's to December twenty twenty-one (2021). It's
12 just that the schedule has them every, every three
13 months I guess, to avoid putting a whole bunch of
14 numbers at the bottom for the times.

15 Q. **[269]** Okay.

16 R. But the last observation is December twenty twenty-
17 one (2021).

18 Q. **[270]** Okay. So, that would be data from nineteen
19 ninety-two (1992) to the end of December twenty
20 twenty-one (2021). Correct?

21 R. Data from nineteen eighty-eight (1988) because it
22 takes five years to estimate. So the first
23 observation is for the five, prior five year
24 period.

25 Q. **[271]** Okay.

1 R. And that is the longest period for which we've got
2 data for the Utilities subindex. Because they
3 reorganized it nineteen ninety-five (1995) or
4 nineteen ninety-six (1996) something like that.

5 Q. **[272]** And your reference would be the same as
6 Schedule 3. So it's the same set of data that we
7 see...

8 R. It's exactly the same data. Except that the first
9 set of results is one estimate for the whole period
10 rather than looking at each month updating one. And
11 the second one is for the last five year period.
12 Which is in fact the last observation in the graph
13 at Schedule 1.

14 Q. **[273]** Give me on second.

15 R. Okay.

16 Q. **[274]** I'm changing subject. So, going back to,
17 Madame St-Cyr, vous pouvez enlever, you can take
18 that away from the, from the screen. So Dr. Booth,
19 I'm gonna go back to a topic that we touched upon
20 at the beginning of the cross-examination. So,
21 since the filing of your evidence, and I'll just
22 state a few assertions and you tell if you agree
23 with me, I think it's not controversial.

24 So since the filing of your evidence, the
25 Bank of Canada raised its policy interest rate from

1 point two five (0.25) or point five (0.5) depending
2 on the date you look, to one point five (1.5). You
3 agree with that?

4 R. Yes. Correct.

5 Q. **[275]** Now, the market is expecting that the Bank of
6 Canada will raise the rates again, possibly as soon
7 as next month. Correct?

8 R. Correct. Probably nought point seven five (0.75%)

9 Q. **[276]** Probably not point seven five (0.75)?

10 R. Nought is zero point seven five percent (0.75%)

11 Q. **[277]** Okay. So seventy-five (75) basis points?

12 R. That's correct.

13 Q. **[278]** Okay. And you are aware the Federal Reserve
14 raised its Federal Funds rate by seventy-five (75)
15 basis points last week as well?

16 R. That's correct.

17 Q. **[279]** Now, the inflation rate went up to six point
18 eight (6.8) from five point one percent (5.1%) at
19 the time of the writing of your report.

20 R. That's correct.

21 Q. **[280]** The RBC...

22 R. That could go to seven point three (7.3) or seven
23 point two (7.2) or something like that.

24 Q. **[281]** Yes, well it's going, it's going up, we know
25 it's going up again in July. Yes.

1 R. Yes.

2 Q. **[282]** Now the RBC forecast for the overnight rate
3 doubled since the filing of your report. From point
4 two five (0.25) to point five (0.5).

5 R. Yes.

6 Q. **[283]** The RBC forecast for the overnight rate as of
7 Q4 twenty twenty-two (2022) also doubled? Going
8 from one point twenty-five (1.25) to two point five
9 percent (2.5%)?

10 R. So, you say that one again.

11 Q. **[284]** Yes, I'm sorry. It's a lot of numbers. The
12 RBC forecast for the overnight rate, as of Q4
13 twenty twenty-two (2022) doubled also?

14 R. Yes.

15 Q. **[285]** So, from one point twenty-five (1.25) to two
16 point five percent (2.5%).

17 R. That's correct.

18 Q. **[286]** And all these changes that happened since the
19 filing of your report have had zero impact on your
20 recommended ROE of seven point five percent (7.5%).
21 Correct?

22 R. That's correct. Because the long Canada forecast
23 hasn't reach my trigger point of three point eight
24 percent (3.8%). It's been a period of very low long
25 Canada rates. And the base for the fair ROE in

1 Canada is the forecast long Canada rate.

2 Q. **[287]** And I think you've established that you
3 expected the three point eight (3.8) to be reached
4 in, in the near future. Correct?

5 R. I didn't say that. I did expect it. And then RBC
6 came up with this forecast that they expected it to
7 go down. It's entirely contingent upon the success
8 of the Bank of Canada slowing down the economy and
9 bringing down interest rates. Right now, we're in a
10 period where is not at all certain that the actions
11 of the Central Bank are enough to slow down
12 inflation. I'm sceptical. RBC seems to be more
13 optimistic.

14 Q. **[288]** And your opinion is that the three point
15 eight (3.8) will be surpassed in the near term.

16 R. It depends who defined near term.

17 Q. **[289]** In the coming two years.

18 R. I think we're going to get very close to it. I
19 don't think we're going to get passed it. The...
20 and the reason for that is that currently the
21 forecast is about three point three six (3.36) by
22 the Parliamentary Budget Officer, but that includes
23 the thirty seven (37) basis points for the long
24 Canada driving the ten year rate. And right now,
25 there is no premium of the thirty (30) year over

1 the ten year rate. In fact the thirty (30) year
2 rate is less than the ten year rate.

3 So effectively we're at a three percent
4 (3%) forecast now. Do I see any basis point
5 increase? That would mean that the Bank of Canada
6 has not been able to control inflation and the
7 demand has overwhelmed the willingness of the Bank
8 of Canada to increase interest rates. And that
9 comes down on what on earth the government of
10 Canada is saying to the Bank of Canada, about the
11 political implications of rising interest rates.

12 If we were in the United States, Biden's
13 facing his interims in November, and politically
14 the Fed is under a lot of pressure not to increase
15 interest rates too much, because you trigger in a
16 recession and high inflation just when the
17 government go to election. The democrats are gonna
18 have a serious problem with the midterms. So
19 there's obviously a political element to all of
20 this.

21 Q. **[290]** Can we please go to page 46 of Dr. Booth's
22 evidence. So C-ACIG-0037.

23 R. Yes.

24 Q. **[291]** Okay. I'll just wait for madame St-Cyr to put
25 that on the screen. So it's la page 46 de

1 C-ACIG-0037. Voilà, tout en haut complètement. At
2 the very top of the page 46. There we go. Okay. So.
3 The question you were asked is how would you
4 compare conditions now versus your twenty eleven
5 (2011) GMI report? And your answer is: "I would say
6 that in many respects they are quite similar". So
7 that is what you wrote in, I think it would have
8 been... early this year. Early twenty twenty-two
9 (2022). So you're still of the opinion that, you're
10 still of the opinion that the conditions compare,
11 conditions now are comparable to two thousand
12 eleven (2011)?

13 R. I have to say, I'm not sure that I said than we
14 were further along in the business cycle then we
15 were in two thousand eleven (2011). Because, it's
16 the story of the, the clock that says, 2 o'clock,
17 twice a day, which is completely different. One
18 time is in the afternoon, one time it's early in
19 the morning. And that's the business cycle. I think
20 a lot... backing to two thousand eleven (2011), as
21 I said, we were waiting for Godot, we were waiting
22 for the Americans to recover and it's like calling
23 the Americans: get your act together, start
24 growing, start increasing employment. And we waited
25 for the Americans for several years. Now, we're at

1 the other stage. We're not in the early stage of
2 the business cycle we are at the late stage of the
3 business cycle. So a lot of the indicators are
4 exactly the same in terms of capacity indicators,
5 for example, the break-even inflation rate is a bit
6 lower. CPI is definitely higher. The unemployment
7 rate, you never mentioned that one...

8 Q. [292] Pardon me...

9 R. ... unemployment rate was six percent (6%) when I
10 put my testimony together. Now it's five point one
11 (5.1%). This is literally unheard of, the... it
12 signifies, we soaked up all of the excess labour in
13 the Canadian market, and we're short of people. All
14 of these indicate late cycle for the economy, and
15 as a result the central banks slowing down the
16 economy.

17 Actually a lot of them as I said, are very
18 very similar. The position of loan officers, the
19 stressing indicators, credit spreads are sort of
20 similar. The major factor is the long term Canada
21 bond yield and otherwise, if we hadn't had this
22 thirteen (13) years of bond buying by central
23 banks, and interest rates were where they should
24 be, three, four, five percent, I would say it is
25 very similar to two thousand eleven (2011).

1 Q. **[293]** Okay.

2 R. It sets the world on the down instead of on the up.

3 Q. **[294]** So I will ask you several questions on what I
4 suggest are differences between the market now and
5 the market back in two thousand eleven (2011).

6 Obviously, things change, can change in
7 eleven years. But you are aware that the rate of
8 return that was set for Énergir, as it was known
9 Gaz Métro back then, was eight point nine percent
10 (8.9%) in two thousand eleven (2011).

11 R. That's correct.

12 Q. **[295]** Okay.

13 R. And that was a thirty (30) basis points spread over
14 the eight point six (8.6), I guess, which was the
15 generic ROE.

16 Q. **[296]** So what you are suggesting to the Régie is
17 that despite similar market conditions and a
18 similar risk, the rate of return should decrease
19 from the actual eight point nine percent (8.9%) to
20 your recommended seven point five percent (7.5%),
21 is that your suggestion?

22 R. I think the correct suggestion, is that I made a
23 recommendation in two thousand eleven (2011), I
24 think it was seven point seven five percent (7.75%)
25 and my recommendation now is seven point five

1 percent (7.5%) which is slightly lower, no where
2 near as much as they decline in the long Canada
3 bond yield, but it is slightly lower and I would
4 say at the moment, the eight point nine percent
5 (8.9%) is slightly higher by about twenty-five (25)
6 basis points.

7 But I remind you, I think it was two years
8 after the two thousand eleven (2011) hearing, the
9 lawyer for IGUA at the time called me up and talked
10 about the settlement...

11 Q. [297] You can't talk about a privileged
12 information. I mean, you can say what you want, but
13 privileged is... is something protected by our
14 constitution, so be careful.

15 R. Okay, I won't say another word, okay, but I have no
16 problem with the fact that independent of any
17 settlement, I have no problem, since I've said
18 specifically on so many occasions, that my seven
19 point five percent (7.5%), I would not lower it,
20 because of lower interest rates and I would not
21 change it until the long Canada bond yield got to
22 about three point eight (3.8%) percent and the
23 conditions in the bond market started to become
24 normal, that is that they are established by
25 ordinary people, not the central banks.

1 So I would say that the Régie got it right
2 basically, given the fact it's a little bit higher
3 than I think is reasonable, but keeping it the
4 same, I think it has been perfectly reasonable.

5 Now, this is probably my easiest question
6 since the beginning of this cross-examination, but
7 you will agree with me that in two thousand eleven
8 (2011), there was no global COVID-19 pandemic?

9 R. That's correct.

10 Q. **[298]** Okay. And you will agree with me that the
11 inflation rate back in two thousand eleven (2011)
12 was not nearly as high as it is today, correct?

13 R. True, but we are looking at the long term inflation
14 rate, and I draw your attention to the fact that in
15 the July two thousand eleven (2011), the break-even
16 inflation rate was two point five one (2.51), now
17 it is one point eight percent (1.8%), in both
18 cases, they are within the one to three percent (1-
19 3%) range.

20 Q. **[299]** And do you recall...

21 R. And you'll remember, there was no COVID, but we
22 have had SARS and we have had that fear of other
23 sources of pandemics.

24 Q. **[300]** Well, sure, you are not going to compare SARS
25 to what happened with the COVID-19, correct?

1 R. Of course not, but I am saying that at the time, we
2 were worried about SARS.

3 Q. **[301]** Okay. But now, we are not just worried about
4 COVID-19, it happened, we have been living with it
5 for over two years now, right?

6 R. Oh, absolutely and in fact, word is out that there
7 is yet another bickering of COVID-19 and Europe is
8 bracing for another round of infections, because
9 this seems to be an extremely infectious disease.

10 Q. **[302]** Do you recall that the GMI hearing, if I may
11 call it that, in two thousand eleven (2011), took
12 place in September, just so we know when the
13 hearing took place? September twenty eleven (2011)?

14 R. I will accept that, I can't remember exactly when
15 it was.

16 Q. **[303]** Well I can tell you, it was from the seventh
17 (7th) to the twenty-third (23rd) of September
18 twenty eleven (2011), but my purpose of this is :
19 do you agree with me that back in September twenty
20 eleven (2011), CPI inflations stood at three point
21 two percent (3.2%) versus six point eight percent
22 (6.8%) today?

23 R. Oh, I'll accept that obviously. My memory, as I get
24 older, days merge, years merge, and I can't
25 remember exactly what the rate of inflation was at

1 a particular point in time.

2 Q. **[304]** No, no, I understand, I understand that, but
3 I have put a document, we have put in the document
4 which is B-0377, if you want to have a look at it.

5 R. No, I'll take that subject to check.

6 Q. **[305]** Okay.

7 R. In my opinion, that must be the headlines CPI
8 rate...

9 Q. **[306]** Yes.

10 R. ... rather than....

11 Q. **[307]** I will give you the three, the three, all the
12 initials CPI, total CPI three point two (3.2), CPI-
13 trim was two point one (2.1), CPI median was two
14 (2) and so was CPI-common.

15 R. Yes, so all three of the core ones were well within
16 the one to three percent (1-3%) range. So clearly,
17 there must have been, I would have to remember
18 whether that was commodity prices causing problems.

19 But I mean, the problem in Canada is that
20 oil and gas prices have reasonably big impact.

21 Q. **[308]** Yes. But these inflation figures are way
22 different than they are today, correct?

23 R. Oh, that is correct, there is no question about
24 that, whatsoever. The question is whether it is
25 permanent, whether it is transitory. And whether

1 the Bank of Canada can get a hold on the second
2 stage, when it drifts into wage increases and
3 underlying inflation.

4 Q. **[309]** Now do you agree with me that labour
5 shortages were not as present in two thousand
6 eleven (2011) as they are today?

7 R. Mr. Ouellet, we always thought of six percent (6%)
8 as the lowest the unemployment rate could go in
9 Canada. Anything below six percent (6%) we called
10 narrow the non-accelerating inflation rate of
11 unemployment. Which meant that if unemployment got
12 below six percent (6%), we would get inflation. And
13 now, we got five point one percent (5.1%). So I
14 cannot remember how many decades you have to go
15 back to find an unemployment rate in Canada of five
16 point one percent (5.1%), but it is a long long
17 way.

18 Q. **[310]** So just so it is clear for the record, for
19 the transcript, you do agree that there were no
20 labour shortages as much, or they were not as much
21 labour shortages back in twenty eleven (2011), than
22 there are today?

23 R. Absolutely correct.

24 Q. **[311]** Okay. And the same question with regard to
25 supply chain bottlenecks. That was not as present

1 in twenty eleven (2011) as it is today, correct?

2 R. We never heard of it at that time, because every
3 one was talking about how efficient the supply
4 chains were. Now we have discovered how critical
5 China is.

6 Q. **[312]** And another obvious one but back in two
7 thousand eleven (2011), there was no war in Ukraine
8 causing the imposition of global economic sanctions
9 against Russia?

10 R. That's correct. I am sure there was a war
11 somewhere, but obviously not as important as war in
12 Eastern Europe.

13 Q. **[313]** Now, I would like to quickly discuss the
14 stand-alone principle. You are familiar with the
15 principle?

16 R. I am.

17 Q. **[314]** Can we go to your direct testimony, so
18 C-ACIG-0037, page 101.

19 R. Yes.

20 Q. **[315]** Okay, and I will just read for the record. So
21 question, I am at line fifteen (15).

22 R. Yes.

23 Q. **[316]** Okay, page 101, so just next page. Un petit
24 peu plus bas encore, voilà. À partir de la page...
25 de la ligne 15. So I am starting, I am going to

1 reach target line 15, so there was a question.

2 Doesn't the "isolation" principle
3 justify Gazifere's higher common
4 equity ratio based on its small size?

5 Now I will read the answer :

6 No. The isolation or stand-alone
7 principle is justified based on a
8 holding company or sister company
9 charging uneconomic costs to the
10 operating subsidiary. For example,
11 prior to the PUHCA in the US
12 electricity companies owned
13 unregulated electric tram, streetcar
14 companies apparently were charged
15 uneconomic prices by the regulated
16 electric companies. After the passage
17 of the PUHCA these streetcar
18 operations were divested and many of
19 them went out of business. The point
20 is that "stand-alone" was meant to
21 mean that the charges to the utility
22 were fair and reasonable, not that a
23 small uneconomic subsidiary should
24 remain in business protected by
25 regulation. In this respect Gazifère

1 is an artificially small business and
2 seems to be integrated with EGI. Note
3 Gazifère pays Enbridge interest based
4 on a BBB low bond rating when EGI is
5 the strongest gas distribution utility
6 in Canada covering almost all of
7 Ontario. I regard this as charging
8 uneconomic costs to Gazifère.

9 So...

10 R. Gazifère's ratepayers.

11 Q. **[317]** Yes. So you still agree with that answer that
12 you gave?

13 R. Yes, I expected questions on this because I am
14 fully aware that the Régie regulates a legal entity
15 called Gazifère and he has to do that according to
16 regulations in Ontario. But as an economist,
17 Gazifère seems to be integrated with Enbridge. And
18 I say, "seems" because I asked a series of
19 questions on this and they refuse to answer. So I
20 went to Enbridge's annual information form to see
21 what Enbridge talks about Gazifère, and all I could
22 find, was that the senior executive in charge of
23 Enbridge is also in charge of Gazifère.

24 Q. **[318]** So Dr. Booth, I know you expected questions
25 on this, but maybe you can wait for my questions

1 before you start answering them?

2 R. Oh, sorry, sorry.

3 Q. **[319]** Thank you. So you heard Jean-Benoît Trahan,
4 his evidence, did you hear his evidence from
5 Gazifère?

6 R. No, I didn't.

7 Q. **[320]** Okay.

8 R. But...

9 Q. **[321]** Now, you did not hear Mr. Trahan explain that
10 Enbridge and Gazifère operate independently from
11 each other?

12 R. Isn't he the Senior executive in charge of
13 Gazifère?

14 Q. **[322]** Yes, he's the president of Gazifère.

15 R. Oh, I am not surprised if he would say that, yes.

16 Q. **[323]** So, but you were not present during his
17 testimony, right?

18 R. I was not, I do know him from previous work, but...

19 Q. **[324]** Do you recall, so you are not aware that Mr.
20 Trahan explained that Gazifère and Enbridge are
21 subject to different legislative and regulatory
22 frameworks? Do you agree with that?

23 R. They are subject to different regulations within
24 Ontario versus Québec, of course.

25 Q. **[325]** And obviously, subject to different

1 regulators?

2 R. And different regulators, yes.

3 Q. [326] And the...

4 R. Sorry.

5 Q. [327] Sorry. Okay go ahead.

6 R. No, it is all right, carry on.

7 Q. [328] Okay, so you are aware that their clients
8 have different consumption habits?

9 R. When you mean that the regulator, the clientele of
10 Gazifère is not the same as the clientele of
11 Enbridge.

12 Q. [329] Of Enbridge, yes.

13 R. Enbridge gas distribution in Ontario used to be
14 very much residential. In the purchase of Central
15 Gas Ontario, in Northwest Ontario and Union gas, it
16 acquired a much bigger clientele of industrial
17 users, pipeline assets and storage assets. So the
18 composition of Enbridge gas has changed as a result
19 of acquisitions, whereas Gazifère, as we know, is
20 primarily a residential utility.

21 Q. [330] I would like to put before you,
22 unfortunately, I do not have the Régie exhibit, but
23 it is EGI-52.6. It is two thousand and ten (2010)
24 decision, D-2010-147. I will try and see if someone
25 can help me with the Régie quote. So it would be

1 B-0384, B-0384.

2 So what I am going to put before you, Dr.
3 Booth, is the Régie decision in the two thousand
4 and ten (2010) Gazifère case. In which I believe
5 you did... well, in which you testified, correct?

6 R. I did, and I am fully aware of the decision of the
7 Régie in terms of the isolation principle.

8 Q. [331] Okay. So we will look at that together. Donc,
9 c'est le B-0384. Unfortunately, Dr. Booth, I don't
10 think we have an English version of that. So what
11 I'll do, is I will translate it, if Me Hamelin can
12 correct me if she does not agree with my
13 translation.

14 Me PAULE HAMELIN :

15 I think we have an unofficial translation of that
16 decision.

17 Me PATRICK OUELLET :

18 Great, even better.

19 Me PAULE HAMELIN :

20 So, let me just check.

21 Me PATRICK OUELLET :

22 Yes. That would obviously be better than doing the
23 French.

24 Me PAULE HAMELIN :

25 If you give me five minutes, I can...

1 Me PATRICK OUELLET :

2 No problem.

3 Me PAULE HAMELIN :

4 Few minutes.

5 Me PATRICK OUELLET :

6 Okay. So if we could, sorry, is this the English
7 one or it is the French one?

8 Me PAULE HAMELIN :

9 This is the French one, and I have, it was not...
10 the English unofficial translation was not filed
11 but I have it in front of me, so...

12 Me PATRICK OUELLET :

13 Okay. Do you want to... maybe, we can just... we
14 will use the English, but maybe we can file it
15 afterwards, just so everybody has that but if, Me
16 Hamelin, if you could just email it to me and to
17 Dr. Booth and we will both have the same thing, we
18 can read from the decision and then perhaps file it
19 in the record. Si ça vous convient, Monsieur le
20 Président et Mesdames les Régisseurs?

21 LE PRÉSIDENT :

22 Oui, ça va, merci.

23 Me PATRICK OUELLET :

24 Parfait. Donc, je vais juste laisser, là, le temps
25 à maître Hamelin de me l'envoyer par courriel. Je

1 vais fermer mon micro puis je vais prendre ma
2 décision.

3 PAUSE

4 Me PAULE HAMELIN :

5 Alors je viens de l'envoyer je ne sais pas s'il y
6 avait des annotations là-dessus parce que c'est ma
7 copie. Alors...

8 Me PATRICK OUELLET :

9 S'il y en a, Maître Hamelin, je vais les ignorer.
10 Je regarde deux paragraphes seulement. Ce sont les
11 paragraphes 158 et 165.

12 LE PRÉSIDENT :

13 Bien, ça nous intéresse!

14 Me PATRICK OUELLET :

15 Q. **[332]** Have you received it Dr, Booth? I haven't
16 received it yet. O.K., je l'ai.

17 R. Yes, I've got it.

18 Q. **[333]** Okay. So I will go to paragraph 158. Il y a
19 du jaune, Maître Hamelin. Je le constate en faisant
20 le scroll down.

21 Me PAULE HAMELIN :

22 Je pense que les paragraphes dont vous faites
23 référence, il n'y a pas de... de toute façon vous
24 allez les, les lire si ma compréhension est bonne.

25

1 Me PATRICK OUELLET :

2 Oui oui, exact.

3 Me PAULE HAMELIN :

4 Alors on verra à produire une version « clean ».

5 Me PATRICK OUELLET :

6 Q. **[334]** Ça va. Donc m'y voilà. So I'll start by
7 reading the unofficial translation of paragraph
8 158, Dr. Booth. So:

9 According to Dr. Booth, if there were
10 no provincial boundaries, Gazifère's
11 assets would not be distinct from
12 Enbridge's and the two would be
13 integrated. On this basis, and in view
14 of the economic principle that similar
15 assets should generate equivalent
16 returns, Gazifère should have the same
17 capital structure, the same cost of
18 debt, and the same rate of return as
19 Enbridge.

20 So you recall that was your position back in two
21 thousand and ten (2010), Dr. Booth?

22 R. Really I can't remember the exact words whether
23 that reflects exactly what I said. But I'm happy to
24 see that my view hasn't changed in thirteen (13)
25 years. And I'd say that I was once asked in a BC

1 utility's hearing by the opposing lawyer, he gave
2 me a question and I gave the same answer. And he
3 said: "Well, Professor Booth, three years ago I
4 asked you the same question and you gave the same
5 answer." And he went back to something like nine
6 years earlier. He asked me the same question and I
7 gave the same answer. So, in substance, my view is
8 simply that Gazifère...

9 Q. [335] I haven't asked my question yet.

10 R. I thought you asked me whether I agree with that...

11 Q. [336] Well, my question was, was that your, was
12 that your evidence, your position back in two
13 thousand eleven (2011) or two thousand and ten
14 (2010)?

15 R. I would assume it was. I mean, I can't remember
16 exactly what I said but as I read it, I would not
17 disagree with that now.

18 Q. [337] Now, at paragraph 165, I will just read the
19 Régie's decision here:

20 The Régie has long established
21 Gazifère's cost of debt on the basis
22 of the stand-alone principle. The
23 Régie finds that the evidence does not
24 support a change in this approach.

25 So, do you recall that the Régie did not agree with

1 you that Gazifère should be viewed as the same as
2 Enbridge?

3 R. That is exactly what I expected the cross-
4 examination on this.

5 Q. **[338]** Okay. So, despite the Régie not agreeing with
6 you back in two thousand and ten (2010), you're
7 presenting the same position. Correct?

8 R. Currents in Economics haven't changed. That, as far
9 as I can see, the person running Gazifère is also
10 running Enbridge Gas, the whole of the utility. So,
11 clearly it's a separate legal subsidiary, but my
12 view would be that the isolation or the stand-alone
13 principle should not trump fair and reasonable
14 rates.

15 And the question that we should ask, is if
16 in fact Enbridge is in... sorry Gazifère is
17 integrated with Enbridge, as I strongly suspect it
18 is, but I couldn't get any answers out of Gazifère
19 on this, if it is really integrated, how really
20 significantly different, do you think, the Gazifère
21 ratios would be, from say Scarborough in Toronto,
22 which is Enbridge Gas Distribution. Or anywhere
23 else where it is predominant residential and
24 serviced by Enbridge. There maybe some of these new
25 risks that we have yet to work out how they

1 actually manifest in the inability to Gazifère to
2 earn its allowed ROE. But we're talking about part
3 of what I might term greater Ottawa, in terms of...
4 is that substantially different Enbridge serving
5 that component versus serving another part of, say,
6 Greater Toronto. And I would believe that the fair,
7 a reasonable standard should mean that, that should
8 trump, we should look beyond that.

9 And there is a phrase that we use all the
10 time in legal decisions: piercing the corporate
11 veil. Which is to say, looking beyond the legal
12 entity of Gazifère to the substance of the
13 transaction. And that's all I'm saying here, that
14 for what I can see, Gazifère seems to be integrated
15 with Enbridge. And I'm not quite so sure why it
16 should be charged a BBB rate on its debt, when that
17 debt is coming from an entity which is way better
18 than a BBB debt. And it's got one of the lower cost
19 of debt of any utilities.

20 So I would say that was charging Gazifère's
21 customers, almost certainly, certainly probably a
22 unfair cost of debt. And the rates, probably are
23 unfair and unreasonable as a result. But I fully
24 recognize that the Régie has a responsibility to
25 regulate a separate legal entity in Québec.

1 Q. **[339]** Okay. So I just want to... I have a few
2 clarification questions on that. So, your position
3 that you just explained, it's the same position you
4 had in two thousand and ten (2010). Correct?

5 R. Well, I can't remember word for word what I said in
6 two thousand and ten (2010), but I think in
7 substance it's the same because the economic
8 position of Gazifère hasn't changed.

9 Q. **[340]** But Dr. Booth, my point here is that you've
10 been very very critical of Dr. Villadsen in your
11 direct evidence when she brings an argument that
12 was dismiss by the Régie at the latest hearing. So
13 am I to understand that when you do the exact same
14 thing that's correct?

15 R. No. That's a misrepresentation I would say. What
16 I'm saying here is the Régie should look at fair
17 and reasonable rates. And basically look at
18 Gazifère and say whether the, the underline
19 functional role of Gazifère within Enbridge means
20 that the rates should then be unfair and
21 unreasonable.

22 On the other hand when I'm looking at Dr.
23 Villadsen, she's doing things that are unacceptable
24 to me as a finance professor. And I would say that
25 in the strongest way they are unacceptable.

1 Adjusted betas, there is no statistical evidence
2 for adjusted betas for utilities. I've never seen
3 any study that looked at utilities and say they
4 should adjust their betas towards one. And I've
5 never seen anybody use the theoretical Capital
6 Asset Pricing Model in a way the doctor Villadsen,
7 and before her Dr. Vilbert used them. And the way
8 when she uses the ATWACC, using market values
9 fixing with, with book value weights, was described
10 by the AUC that they'd be derelict in their
11 responsibilities to accept that. So...

12 Q. **[341]** So Dr...

13 R. So I'm just... You asked me about this and...

14 Q. **[342]** I did, I did.

15 R. These are unacceptable. I'm sorry. I can't say
16 anything else. I was worn by counsel to be very
17 friendly and not be provocative, but to my --
18 wearing my professor finance's hat, these are
19 unacceptable. While, all I'm saying to the Régie,
20 is I fully recognize legal responsibilities to
21 treat Gazifère as a legal entity, but there is also
22 piercing the corporate veil and responsibility to
23 have fair and reasonable rates, which trumps, I
24 think, the isolation or the stand-alone principle.

25 Q. **[343]** Are you aware, Dr. Booth, that piercing the

1 corporate veil in Québec can only be done in the
2 case of a fraud, contravention to rules of public
3 order?

4 R. I wasn't aware of that in Québec. I was aware that
5 it happens all the time before Canada Revenue
6 Agency.

7 Q. **[344]** But you're surely not a specialist in
8 piercing corporate veil. Correct? You're not a
9 legal specialist?

10 R. I'm actually not. I've said many many times I am
11 not a lawyer. I am not licenced to practice law.
12 What I am is a professor of finance that deals with
13 contracts all the time, they are all legal
14 implications.

15 Q. **[345]** So, if I understand your testimony correctly,
16 what we should take from your evidence, is that the
17 Régie set an unfair and an unreasonable rate of
18 return for Gazifère in two thousand and ten (2010)?

19 R. No. I'm not saying that at all. I'm saying that the
20 standard is fair and reasonable rates. And that
21 trumps, in my opinion, the stand-alone principle or
22 the isolation principle. And I'm sure the Régie set
23 what it felts was fair and reasonable rates.

24 And just to reflect on this, I'm
25 recommending for Gazifère a forty percent (40%)

1 common equity ratio which is more than a smaller
2 utility in Alberta get, which is thirty-nine
3 percent (39%). So it's not as if I'm being...
4 saying they should have Enbridge thirty-six percent
5 (36%) allowed return. So, it's not like I'm sort of
6 being, sort of particularly hard saying: give them
7 exactly what Enbridge gets. But, I would just point
8 out to the Régie the over riding criteria to earn
9 reasonable rates.

10 Q. **[346]** And if you could go to page 98 of your report
11 please.

12 R. Yes.

13 Q. **[347]** So, we'll ask madame St-Cyr to put that on
14 the screen. I'm almost done, Monsieur le Président,
15 a few more minutes. Donc la pièce, le même, la même
16 pièce, le témoignage en chef du docteur Booth, à la
17 page 98. Je crois que c'est 0037. Donc la prochaine
18 page je crois. Voilà. Et c'est en haut ici. So, I'm
19 directing you, Dr. Booth, starting at line 3.

20 R. Yes.

21 Q. **[348]** The question was:

22 Are you saying that climate change is
23 not a risk factor that has increased
24 risk for the Québec Utilities?

25 And I'll read your answer:

1 No. I am simply pointing out that all
2 provinces must try and reduce the use
3 of fossil fuels and their impact on
4 climate change. However, the tools
5 available to them to do that are
6 different given different energy
7 endowments. According to the Premier
8 "of all the states and Canadian
9 provinces, Quebec emits the fewest
10 greenhouse gases per capita." In this
11 respect, Quebec is exceedingly lucky,
12 similar in some respects to BC and
13 Manitoba, in having significant access
14 to low-cost cheap hydroelectricity. As
15 a result, reducing the use of natural
16 gas is higher up the priority list.

17 So, you still agree with that answer, Dr. Booth?

18 R. Yes. It's... Québec is extremely lucky. It's...
19 when I think of the nuclear plants that we've got
20 in Ontario, because we've used up all of the
21 Niagara generated hydro. We don't have the luxury
22 of cheap cost electricity. So, the people in
23 Ontario agree that natural gas is not the best
24 choice but it's better than burning coal or better
25 than burning oil. And we talked a little bit about

1 Ukraine and Europe. They're dying for gas. They're
2 putting new liquified natural gas facilities
3 because they want to get off Russian gas and they
4 still want to... they still treat natural gas as a
5 halfway fuel.

6 So when we look at the provinces, every
7 province wants to do the right thing. When Québec
8 turns around to do the right thing, what it regards
9 as the right thing, is in fact something in other
10 provinces that they regard as the best thing that's
11 available.

12 And, when you look at this, climate change
13 is a global phenomenon. And it's something that
14 everybody has to deal with. The best way, with my
15 economist hat on, of reducing climate change is to
16 stop the Indian and Chinese using low quality coal
17 to burn for electricity. So it's much better that
18 we reduce greenhouse gas by getting India or China
19 to reduce pollution than it is for Québec to shut
20 down natural gas.

21 So, I know every province is different,
22 every province has a legal requirement and got a
23 political agenda, but with my economist global
24 economy hat's on, I'd say the best possible
25 solution is to, for Québec, to pay China not to

1 pollute. Because China's greenhouse gas is the same
2 no matter where it's produced.

3 Q. **[349]** Okay. So, let's leave China and India and
4 instead stay in Canada for now.

5 R. Well we are stopping coal, but Nova-Scotia still
6 has coal plants.

7 Q. **[350]** I have a question at some point.

8 R. Okay. Sorry.

9 Q. **[351]** Okay. So, Dr. Booth, you'll agree with me
10 that the situation is not the same in every
11 Canadian province.

12 R. Absolutely. Yes.

13 Q. **[352]** Okay. Now, last Friday, you suggested that
14 long term risk is relevant when there is evidence
15 that such risk will prejudice the shareholders
16 return on investment. Do you recall that part of
17 your testimony?

18 R. I don't, I was probably thinking of TransCanada,
19 the mainline where long term risk was reduction of
20 his load because people were dropping off the system
21 and it was a quantifiable reduction in load that
22 had implications for the mainline. And that was
23 because the long term contracts were not being
24 renewed.

25 Q. **[353]** Are you aware or can you point me to any

1 regulatory principle or author who would confirm
2 that long term risk is relevant when there is
3 evidence that such prejudice, that it will
4 prejudice the shareholders return on investment.

5 R. No, the only... I can't remember whether I said
6 exactly that but what I... if I didn't say exactly
7 that, what I meant was long term risk has to become
8 short term risk. It has to affect the ability of
9 the utility to earn it's allowed ROE.

10 And just saying: well, there's risks out
11 there in the future, then there is always risks out
12 there in the future, isn't enough. You show how...
13 and I am pretty sure I said, where the rubber meets
14 the road. When we had this before the National
15 Energy Board, the long term risks were definite. We
16 could see the forecasts for the TransCanada
17 mainline and it was going to have problems with a
18 lower load, rebalancing rates to make sure that
19 people stayed on the system.

20 So, in that sense, the long term risk was
21 quantifiable and affected the recovery of the
22 mainline's cost. So in that sense, it was, it was
23 quantitative. You could look at it and it was
24 definite.

25 Q. [354] But, my question to you is: can you point me

1 to an author or regulatory principle that says that
2 long term risk is relevant only when there is
3 evidence that the shareholders return on investment
4 will be prejudiced?

5 R. Well, that is common sense. If the long term...

6 Q. **[355]** I'm asking you if you can point to an author
7 or book or principle that says that?

8 R. Risk exist... Okay, well...

9 Q. **[356]** You have to answer my question and then, you
10 can explain that it is common sense, but first, can
11 you answer my question?

12 R. No I can't, because it is obvious.

13 Q. **[357]** Okay.

14 R. And it is obvious because risk reflects two things:
15 it reflects the situation and your exposure to that
16 risk. If the risk occurs and has no harm, your
17 exposure to that risk is negligible, then is no
18 real material risk. It has to affect the investor.

19 I talked to my students about supposed bond
20 defaults. If the bond defaults and you get a
21 hundred percent (100%) of your money back, then
22 there is no risk. So the probability of default
23 does not have an impact. It has to have a
24 probability of something happening and a cost to
25 that incident.

1 And if something happens and is never a
2 loss to the shareholder, it is not a risk. And that
3 is what...

4 Q. [358] I have...

5 R. ... has to be accounted for.

6 Q. [359] I have one last topic that I would like to
7 address with you, Dr. Booth.

8 R. Yes.

9 Q. [360] I will show you, if Madame St-Cyr could put
10 on the screen exhibit R-0378, so you will see Dr.
11 Booth, it is a chapter in a book that you authored.

12 LE PRÉSIDENT :

13 Est-ce que c'est B-0378?

14 Me PATRICK OUELLET :

15 Oui, j'ai dit R, hein, mon R a l'air d'un B, mais
16 c'est B, oui, je m'excuse.

17 Q. [361] This is the cover page of the book, but if we
18 want to look at your article, we have to go to the
19 next page. It's an article titled "The cost of
20 equity capital and the fair rate of return on
21 equity for Canadian Utility".

22 R. Yes.

23 Q. [362] So you authored obviously this article?

24 R. True, it's, I think if I remember correctly, Gordon
25 Kaiser wanted something from me and something from

1 Kathy Shane, just to get the opposing fears on the
2 cost of capital.

3 Q. [363] Okay. Now, this was written in two thousand
4 eleven (2011), correct?

5 R. Well, I will accept that, I cannot remember exactly
6 but...

7 Q. [364] What I, just to be transparent with you, I
8 took the book and I looked at the book, and it
9 says : copyright two thousand eleven (2011), so it
10 is where I got the date from, so I think...

11 R. Probably from two thousand and ten (2010).

12 Q. [365] Okay, okay. Now if we go to page 487 of this,
13 of the chapter that I have put, that we've put in
14 the record. Talking about Canadian utilities...
15 487, voilà et plus bas, un petit peu plus bas. O.K.

16 So you see, maybe we will make this bigger,
17 so just before "Fairness revisited", you write, in
18 two thousand eleven (2011) or two thousand and ten
19 (2010) :

20 Overall, I continue to use a beta
21 estimate of no more than point five
22 (.5) for Canadian utilities, which
23 means that two hundred fifty (250)
24 basis point utility risk premium. If
25 this is added to a flotation cost

1 allowance of point five percent (.5%)
2 and a forecast long Canada bond yield,
3 the fair ROE for a Canadian utility is
4 about seven point five percent (7.5%)
5 which is less than the current formula
6 AROE.

7 R. Allowed ROE.

8 Q. **[366]** Yes. So Dr. Booth, and I think you touched on
9 this during your direct examination as well, so
10 basically, what I understand from that is your
11 bench..., your recommendation for a benchmark
12 utility in Canada is seven point five percent
13 (7.5%) ROE, correct?

14 R. That's correct.

15 Q. **[367]** And it has been so, this was written in two
16 thousand and ten (2010), so twelve (12) years ago,
17 and your recommendation for the benchmark utility
18 has not changed, it is still seven point five
19 percent (7.5%), correct?

20 R. That's correct. And when you look at it, the beta
21 estimate I have got there is no more than nought
22 point five (0.5), that was in the range point four
23 five (.45) to point five five (.55), I've now
24 increased slightly, point five (.5) to point five
25 five (.55) but the flotation cost is the same. The

1 main feature of that is the long Canada bond yield.
2 And I don't believe the long Canada bond yield is
3 now a fair reflection of the opportunity cost for
4 somebody trading off bonds and equities.

5 Q. **[368]** But the underlying financial data changes,
6 but it has no effect ever on your result. It
7 remains at seven point five (7.5), no matter the
8 interest rate, no matter the inflation, it will
9 always come down, come up to seven point five (7.5)
10 and that has been the case since two thousand and
11 ten (2010), correct?

12 R. You can thank the Government of Canada, for that.

13 Q. **[369]** Okay, but the answer is yes?

14 R. The answer is yes, as long as, ever since nineteen
15 ninety-six (1996), when the Government of Canada
16 and the Bank of Canada agreed to a two percent (2%)
17 target rate of inflation.

18 Without a dramatic reduction in the
19 uncertainty, the inflationary environment, bond
20 yields, the market risk premium, and that is
21 reflected in the capital markets. It has been
22 reflected in the information, for example, Duff and
23 Phelps. When I put up Duff and Phelps' estimate of
24 the unruléd market return. You have to go back
25 fifteen (15) years to get something above ten

1 percent (10%) otherwise the overall market returns
2 is in a relatively now on range. We are no longer
3 in a situation the way we were in the sixties
4 (60's), seventies (70's), eighties (80's), and
5 nineties (90's), where the allowed ROE has
6 fluctuated significantly. We are in... we are in a
7 very stable, we were in a very stable environment
8 up until these dramatically long term bond yields.

9 And I am not going to change my view until
10 we see a long Canada bond yield above one point
11 eight (1.8), sorry, three point eight percent
12 (3.8%).

13 So if we have another hearing in three
14 years, Mr. Ouellet, you could ask me all exactly
15 the same questions. Because unless the long Canada
16 bond yield has exceeded three point eight percent
17 (3.8%), you can say : ah, ah, Dr. Booth, you said
18 you were not going to change your opinion, unless
19 the long Canada bond yield is above three point
20 eight percent (3.8%) and it is still below three
21 point eight percent (3.8%).

22 Q. [370] So basically, if I understand you correctly,
23 as long at the long term yield is below three point
24 eight percent (3.8%), there is no use for rate of
25 return hearings, it is just... it should be seven

1 point five (7.5), nothing changes, no matter the
2 interest rates.

3 R. The Régie hasn't changed the allowed ROE for Gaz
4 Metro, sorry, Énergir since two thousand eleven
5 (2011). So I would say the Régie agrees with me as
6 well.

7 Q. **[371]** No, but we are doing this hearing now.

8 R. Well, that's true, but you have to do it
9 periodically, just to have an evidentiary record
10 that either something has changed or something
11 hasn't changed. It can go on forever, unless the
12 companies generally ask for a rate hearing, just to
13 make sure everything is fair, or the Board or the
14 Régie brings companies in to make sure everything
15 is fair, but...

16 Q. **[372]** Just to speed things up a little, during the
17 lunch break, did you have a chance to look at the
18 documents that we have put in the system?

19 R. No, I didn't. I thought you were going to present
20 them to me and ask questions.

21 Q. **[373]** Well then, okay, so let us forget about
22 speeding things up. So, you tell me if you need to
23 review the documents, but we have put in the
24 system, the SDÉ, your reports from other
25 testimonies elsewhere in Canada and your

1 recommendations.

2 So first off... we can put it on the screen
3 if necessary but let us know if you want to see it.
4 I will give you my questions and perhaps you will
5 agree and we won't have to look at the documents.

6 R. Okay.

7 Q. **[374]** So do you recall you testified in the fair
8 return hearing for Fortis BC Energy in two thousand
9 and twelve-thirteen (2012-13)?

10 R. Yes, that is a long, that is almost ten (10) years
11 ago, but yes.

12 Q. **[375]** I know. And your recommendation for Fortis BC
13 Energy, was an ROE of seven point five percent
14 (7.5%), correct?

15 R. It does not surprise me, yes, I'll accept that.

16 Q. **[376]** Okay. Now, going to two thousand and sixteen
17 (2016) in Alberta, there was a generic return on
18 equity and common equity ratio hearing for ATCO
19 Pipelines and in that hearing, in which you also
20 testified, your recommendation was a seven point
21 five percent (7.5%) ROE, correct?

22 R. That is correct, and just to correct you, these are
23 generic recommendations, they are not specific
24 recommendations for a particular company.

25 They are the generic based upon the capital

1 structure being adjusted for business risk and the
2 generic ROE being a base for ROE's for other
3 utilities. So for example, in the BC Utilities
4 Commission hearing, it was the Fortis BC Energy
5 knowing that other BC utilities would get premiums
6 on top of the generic ROE, or the benchmark ROE.

7 Q. **[377]** My suggestion to you was that for ATCO
8 Pipelines, it wasn't a benchmark ROE, you suggested
9 or your suggestion was seven point five percent
10 (7.5%) ROE, for ATCO Pipelines...

11 R. That's right.

12 Q. **[378]** ... on a thirty percent (30%) common equity,
13 correct?

14 R. But it was a generic ROE hearing. So that was the
15 generic ROE.

16 Q. **[379]** Okay. Now two thousand and sixteen (2016)
17 British Columbia in their fair return and capital
18 structure hearing for Fortis BC Energy, your
19 recommendation again was seven point five percent
20 (7.5%) ROE.

21 R. That's correct.

22 Q. **[380]** That's correct.

23 R. But the two thousand and twelve thirteen (2012-13),
24 I am pretty sure there was an automatic ROE
25 adjustment mechanism involved as well and I

1 recommended an automatic ROE adjustment mechanism,
2 and I think I also recommended that the automatic
3 ROE adjustment mechanism only varied if the
4 forecast long Canada rate got above three point
5 eight percent (3.8%).

6 Q. **[381]** Now, two thousand and...

7 R. There are other elements to the decision.

8 Q. **[382]** Okay. The two thousand eighteen (2018),
9 Labrador and Newfoundland...

10 R. Yes.

11 Q. **[383]** ... in the fair return for Newfoundland
12 Power. Your recommendation was seven point five
13 percent (7.5%) on...

14 R. And forty percent (40%) common equity which was
15 three percent (3%) more than the... than the
16 generic gas distributor... sorry electric
17 distributor. You got to remember, you can't look at
18 the... these are generic ROEs. Adjustments for the
19 utilities are made in terms of their common equity
20 ratios.

21 Q. **[384]** So for you, the seven point five (7.5)
22 generic ROE is the same, if we are in BC in two
23 thousand and twelve (2012), Alberta in two thousand
24 and sixteen (2016), British Columbia in two
25 thousand and sixteen (2016), Newfoundland and

1 Labrador in two thousand and eighteen (2018),
2 nothing changes, basic ROE always seven point five
3 percent (7.5%), just like the one you're
4 recommending here?

5 R. Not correct.

6 Q. **[385]** Not correct?

7 R. Not correct at all. My recommendation was seven
8 point five percent (7.5%) going in to thousand and
9 eleven (2011), and I think I recommended for GMI
10 seven point seven five percent (7.75%), but I would
11 have to go back and check that. And then, we had
12 the watershed events. We had this massive bond
13 buying by the central banks, that have depressed
14 long term Canada bond yields far below any tradeoff
15 that a normal person makes between bonds and
16 equities.

17 We had bond yields last year of one percent
18 (1%), when inflation was still above one percent
19 (1%). So when you take into account those bond
20 yields are fully taxable for all the investors. We
21 had seriously negative bond yields. No rational
22 investor, invest on seriously negative bond yields.
23 So the argument then, after two thousand and eleven
24 (2011), when we got into two thousand and twelve
25 thirteen (2012-13), the waiting for Godot period, I

1 said: I am not going to change my allowed ROE until
2 we get a bond market that reflects automatics...
3 reflects a tradeoff between equity and bond
4 investors trading off risk versus return, instead
5 of having a central bank determining the long term
6 bond yield.

7 And you're forgetting that during these
8 periods, I recommended a base rate and I also
9 recommended an automatic adjustment ROE formula. As
10 I did for Gazifère, which the Régie adopted in two
11 thousand and ten (2010), and as I did for Énergir,
12 I think in two thousand eleven (2011) which was
13 adopted. So, there also is the automatic ROE
14 formula which would have adjusted the allowed ROE
15 based upon my recommendations.

16 Q. **[386]** Dr. Booth, when did you start working on your
17 expert evidence for this case? I don't need a
18 precise date, but we know it was filed in April of
19 twenty twenty-two (2022). Do you know when you
20 started working on it?

21 R. I could go back and look at my files. It would be
22 when IGUA approached me and they sent me some
23 documents so... I would say must have been
24 November. I'm just guessing but...

25 Q. **[387]** Okay. Late twenty twenty-one (2021) would be

1 fair enough, or fall of twenty twenty-one (2021)?

2 R. Yes.

3 Q. **[388]** Now, is it fair to say, Dr. Booth, that when
4 you started to work on your expert evidence, or
5 even before you started to your work on your expert
6 evidence, in late two thousand and twenty-one
7 (2021), you already knew that you were going to
8 recommend seven point five percent (7.5%) ROE for
9 Énergir. Correct?

10 R. That's correct. The key feature really was the
11 business risk. Not the ROE.

12 Q. **[389]** I might be done. Est-ce que vous pouvez,
13 Monsieur le Président, me donner quelques minutes?
14 Je vais consulter mes... j'ai peut-être besoin de
15 plus de temps qu'habituellement parce que les
16 experts ne sont pas avec moi dans la salle. Je dois
17 les rejoindre.

18 LE PRÉSIDENT :

19 Oui, faites vos vérifications puis...

20 Me PATRICK OUELLET :

21 Peut-être un dix (10) minutes?

22 LE PRÉSIDENT :

23 Bien, dans ce cas-là on va prendre, on va prendre
24 la pause tout de suite.

25

1 Me PATRICK OUELLET :

2 Parfait.

3 LE PRÉSIDENT :

4 Et au retour, bien on verra si vous avez des
5 questions additionnelles.

6 Me PATRICK OUELLET :

7 Excellent. Parfait, merci beaucoup.

8 LE PRÉSIDENT :

9 Donc... quatorze heures vingt (14 h 20). Donc on se
10 revoit à quatorze heures trente-cinq (14 h 35).

11 Me PATRICK OUELLET :

12 Parfait, merci.

13 Me PAULE HAMELIN :

14 Dr. Booth there's a small recess.

15 SUSPENSION DE L'AUDIENCE

16

17 REPRISE DE L'AUDIENCE

18 LE PRÉSIDENT :

19 Bonjour. Alors, Maître Ouellet, est-ce que vous
20 avez d'autres questions?

21 Me PATRICK OUELLET :

22 Je n'ai pas d'autres questions. So I have no
23 further questions for you Dr. Booth. Thank you very
24 much.

25 R. Thank you, Mr. Ouellet, I'll see you in three years

1 time.

2 Me PATRICK OUELLET :

3 It will be my pleasure.

4 Dr. LAURENCE BOOTH :

5 And mine.

6 LE PRÉSIDENT :

7 Okay. Alors questions de la Régie, Maître Legault.

8 Me LOUIS LEGAULT :

9 Oui, Monsieur le Président, merci.

10 EXAMINED BY Me LOUIS LEGAULT:

11 Q. **[390]** Dr. Booth you'll have a chance to see me in
12 two different angles so chose what's better. Nice
13 to see you again. It's since two thousand and ten
14 (2010) and eleven (2011), it's been a while.

15 Dr. Booth, I will be referring you to two
16 exhibits. First, Exhibit B-0015 which is Dr.
17 Villadsen's direct testimony. At page 61 and this
18 is what she answered to question 56. Page 61,
19 question 56.

20 R. Yes.

21 Q. **[391]** So, the question was: "What values do you use
22 for the risk-free rate of interest?" And Dr.
23 Villadsen answered the following:

24 I use the yield on a 30-year Canadian
25 Government Bond as the risk-free rate

1 for purposes of my analysis.
2 Recognizing the fact that the cost of
3 capital set in this proceeding will
4 begin in 2022, I rely on the
5 forecasted yield on Canadian
6 Government bond yields in 2022.
7 Specifically, Consensus Forecasts
8 predicts that the yield on a 10-year
9 Canadian Government bond yield will be
10 1.9% in 2022. I then adjust this
11 forecasted yield upwards by 40 basis
12 points, which is my estimate of the
13 representative maturity premium for
14 the 30-year over the 10-year Canadian
15 Government Bond. This gives me a lower
16 bound on the risk-free rate of 2.30%.
17 Additionally, I consider a scenario
18 where the risk-free rate of interest
19 is 2.47%.

20 Now, in your evidence, C-ACIG-0037 at page 2, in
21 the Executive Summary, you write the following:

22 I base my LTC yield on the forecast
23 from the Parliamentary Budget Officer
24 and the Federal government's budget
25 briefing which itself was based on

1 Consensus values from the private
2 sector. Consequently, I use a forecast
3 LTC Yield of 3.37%, which is still
4 below the 3.8% rate I use as a trigger
5 for changing my estimate of the
6 allowed ROE. Further it is also 1.13%
7 lower than the 4.5% I used in the 2011
8 GMI hearing.

9 Now we've talked about this abundantly in your
10 testimony and then in your cross-examination.
11 Taking into account the various economic, financial
12 and geopolitical uncertainties that we're facing
13 right now and that we're living through, can you
14 please provide your thoughts on a likely range of
15 long term government of Canada bond yields over the
16 twenty twenty-two (2022), twenty twenty-four (2024)
17 horizon?

18 And in your answer, if you can provide your
19 assumptions about the role or actions of the
20 central banks in the financial markets.

21 R. Wow! That's a very very... You know, how long have
22 we got, how many days? If you're dealing with
23 twenty twenty-two (2022), twenty twenty-three
24 (2023) and twenty twenty-four (2024), then I think
25 clearly twenty twenty-two (2022) is halfway

1 through. So, I think if I look at RBC's June
2 forecast, which has basically their forecast for
3 twenty twenty-two (2022) now then half of it is
4 gone, would about two and half percent (2.5%) for
5 twenty twenty-two (2022). And then, they're
6 basically saying the government is gonna be
7 successful in bringing down inflation and we're
8 gonna have two and a half percent (2.5%), or there
9 about, for the next couple of years.

10 So, I would say that there's one scenario,
11 which is the government could bring down the rate
12 of inflation. And we see the U curve short term
13 interest rates are basically the same as long term
14 interest rates. So, they definitively try to slow
15 down the economy, which means putting people out of
16 work. RBC seems to think that's gonna be
17 successful, so I would say, a range of two and a
18 quarter to two and three quarter percent (2.25%) to
19 three and a quarter percent (3.25%) based upon
20 RBC's optimistic scenario.

21 I personally believe that the consumers
22 spending is too strong to be brought down without
23 more significant interest rate increases. In which
24 case, we could easily see a continuation of the
25 inflation and we could say three to three and a

1 half percent (3 to 3.5%) interest rates over that
2 same period. Not quite as high as I anticipate
3 based upon the PBO's forecast because they look in
4 a little bit longer they're looking tout to twenty
5 twenty-five (2025). But I don't think we get to my
6 three point eight percent (3.8%) trigger.

7 But I do think, that there is a strong
8 possibility that the Bank of Canada won't have the
9 stomach to put short term interest rates up high
10 enough to break the inflationary spiral. And I
11 wouldn't have said this a month ago. I would have
12 put more faith in the Bank of Canada. But as I said
13 in my direct, we're beginning to see the signs of
14 unions asking for catch up. Catch up on the rate of
15 inflation that they see over twenty twenty-two
16 (2022). And that will flow through into higher
17 prices and make it that much more difficult for the
18 Bank of Canada to bring down the rate of inflation.

19 They're committed to doing that, but I'm
20 just wondering whether the government got the
21 stomach for interest rates going up. Not just
22 another seventy-five (75) basis point but going up
23 another two percent (2%).

24 Q. **[392]** Thank you. What would be, in your view, an
25 increase in long term interest rates, in Canada,

1 that you would consider unusual? For an unusual
2 drop. So, so, what would be a... rise and a drop.
3 In one or the other scenario, can you please
4 explain how such an unusual rise or fall could
5 occur?

6 R. Okay. Can we go to my Appendix B, Schedule 6.

7 Me PAULE HAMELIN :

8 I think it's C-ACIG-0039.

9 R. Schedule 6 of my Appendix B.

10 Me PAULE HAMELIN :

11 So it's C-ACIG-0039.

12 Me LOUIS LEGAULT :

13 C'est ça, ce n'est pas quarante (40), c'est trente-
14 neuf (39).

15 R. So this is a model I've been using for some time
16 now, to address some of these questions. The two
17 primary drivers of long Canada interest rates are
18 the risk involved in holding those bonds, which is
19 interest rate volatility. And the supply of those
20 bonds which is basically the government's deficit.
21 Governments run deficits, they increased the supply
22 of bonds to the market. And that shows us how
23 government deficit's, the supply side of risk,
24 affects the interest rate. The long Canada rate
25 minus inflation: the real interest rate.

1 And then you've got politics. I'm really a
2 political economist because you cannot separate
3 politics from economics. And I've got four dummy
4 variables there. Which just indicate it's a special
5 period, obviously the Second World War is a special
6 period, during that period given the deficit the
7 government of Canada was running, interest rates
8 were five percent (5%) below where they should have
9 been. They were controlled.

10 Then in the nineteen seventy-two to eighty
11 period (1972-80), they were three point six percent
12 (3.6%) below where they should be. And that was a
13 period what we call Petrodollar recycling. Where
14 enormous increases in price of oil acted as tax on
15 oil importing countries like Canada as we were at
16 that time.

17 More recently I've been including periods
18 for Dum 3 and Dum 4. Dum 3 is the period basically
19 that we've been leaving in. Since the two thousand
20 eleven (2011) GMI hearing. Since that period, my
21 best estimate is the actions of central banks have
22 depress the real interest rates by about two point
23 six (2.6%). Huge reduction in the real interest
24 rates because they've been buying bonds. You do not
25 take twenty (20) trillion dollars of bonds of the

1 bond market without having an impact. So an other
2 way of saying that is if we had that twenty (20)
3 trillion dollars dump from the bond market interest
4 rates would have been two point six percent (2.6%)
5 higher.

6 Then, on top of that, we got the special
7 years twenty twenty and twenty-one (2020 et 2021)
8 which are the COVID years when even the Bank of
9 Canada started buying government bonds.

10 But to put things in perspective, Mr,
11 Legault, the government of Canada has doubled the
12 national debt in the last six years. Doubled. We
13 have twice as many government of Canada bonds out
14 there then we had six years ago. They're not being
15 held by private investors, they are predominantly
16 being held by the Bank of Canada. And if those
17 government bonds were being dump on the market, we
18 wouldn't being seen these dramatically low interest
19 rates.

20 Now, this is up until twenty twenty-one
21 (2021) since then, the Bank of Canada is starting
22 letting bonds run off not being reinvesting. So
23 we've seen some reversion of interest rates to
24 where they should be. But where they should be
25 right now, several percentage points higher than

1 they actually are. Based upon the amount of
2 government debt that we have, they amount of
3 deficit financing and a volatility of interest
4 rates.

5 So, what we've got is essentially a special
6 situation resulting for this massive bond buying on
7 the part of central banks. And I don't see that
8 that's gonna end very soon because the impact
9 particularly, as I said, on the Millennials,
10 Generation Z, younger people trying to buy houses.
11 If we suddenly bumped up interest rates to the
12 order of two, three, four percent (2,3,4%), there
13 will be a lot of unrest and a lot of people would
14 start losing their houses and house prices will
15 come down.

16 So, there's a political economic, sort of
17 nexus, between where interest rates can go and the
18 level before the government starts losing bi-
19 elections and loses office. And as I said, we are
20 probably going to see problems in the United States
21 with the midterms in November.

22 Q. **[393]** Thank you. Under the hypothesis that the
23 Régie would approve a seven point five (7.5) ROE
24 for the Québec gas utilities as per your
25 recommendation, if such an unusual rise was to

1 occur within the next three years, do you think
2 that the seven point five (7.5) rate of return
3 would still be appropriate? And the same for an
4 unusual fall, I mean, strong variations?

5 R. Unusual fall, forget about it, it is not going to
6 happen and nonetheless we get another pandemic, the
7 interest rates are going to go up, not go down and
8 how fast they go up, depends upon the actions of
9 the central banks and whether we continue that
10 deficit financing at the federal level.

11 Remember, every time the government runs a
12 deficit, it is basically increasing the supply of
13 bonds and as the supply of bonds increases, the
14 price would then go down and the yield would go up.

15 So I think the interest rates are only
16 going to go up. I'm a firm believer, as you
17 probably know, in automatic ROE adjustment model,
18 it's being less of a factor for the last ten (10)
19 years, because my recommendation, as Mr. Ouellet
20 pointed out, is basically been the same, because I
21 do not buy the idea that current low interest
22 rate's affect the overall equity return.

23 Equity and bond markets are separate
24 markets in the capital market and it is not an
25 automatic one to one relationship in a fair rate of

1 return and the government bond yield.

2 So I would prefer an automatic ROE
3 adjustment mechanism, this is not on the table in
4 this hearing, but I recommend that if interest
5 rates go up significantly above my trigger of three
6 point eight percent (3.8%) at the very least the
7 allowed ROE should go up by seventy-five percent
8 (75%) of the increase in the long Canada bond
9 yield, forecast long Canada bond yield.

10 That was the beauty of automatic ROE
11 adjustment mechanisms. Basically we stop using them
12 about two thousand and fifteen (2015) or so, when
13 people started facing up to the problem with
14 unusual low interest rates.

15 Q. [394] Again, in your direct evidence, C-ACIG-0037,
16 page 25, this time, you mentioned that:

17 The Bank of Canada's two percent
18 (2.0%) target rate of inflation,
19 within a one to three percent (1%-3%)
20 band, was renewed with the Government
21 of Canada on December thirteenth (13)
22 of twenty twenty-one (2021).

23 In Exhibit C-ACIG-0064, which are your answers to
24 Dr. Villadsen's IR, number 1, and I would refer you
25 to page 12, your answer to her question 12.1.

1 R. Yes.

2 Q. [395] So question 12.1 was:

3 In Dr. Booth's view, will the presence
4 of high inflation would cause
5 investors to require a higher equity
6 rate of return?

7 The answer was :

8 Possibly, but the important fact is
9 that the break-even inflation rate is
10 so far well within the one to three
11 percent (1-3%) target inflation range
12 so the markets do not believe that the
13 current high headline CPI inflation
14 rate will continue. Dr. Booth believes
15 that the Bank of Canada will get core
16 inflation under control, since they
17 recently, in December twenty twenty-
18 one (2021), signed an agreement with
19 the Government of Canada to continue
20 the two percent (2%) target inflation
21 rate in a one to three percent (1-3%)
22 range.

23 If during the twenty twenty-two-twenty twenty-four
24 (2022-2024) period, a scenario of stagflation
25 caused in particular by the geopolitical situation,

1 lead inflation significantly above the one to three
2 percent (1-3%) band, by... set by the government of
3 Canada, can you indicate and explain what would be
4 the likely level of Canada's long term bond yields?

5 R. First of all, we have...

6 Q. [396] I would love you to have a crystal ball, I
7 know you do not have one, but your best guess?

8 R. Well Mr. Ouellet has just pointed out that I was
9 wrong in the February, March, but I was wrong just
10 in the way the government of Canada and the Bank of
11 Canada was wrong, and all economic forecasters were
12 wrong.

13 The reason being, we were looking at supply
14 side effects and I have to say, I mean, I have got
15 no crystal ball, I look primarily at the capital
16 markets, for what the capital market is telling me,
17 which is the break-even inflation rate, which is
18 well within the one to three percent (1-3%) range
19 and close to the two percent (2%) target.

20 So that is what the capital markets are
21 telling me, they are telling me that Tim Macklem is
22 going to get inflation down.

23 Now the question you asked is: is he going
24 to get it down over the test year periods of the
25 next say three years, for example. There, I think,

1 is a real credibility problem with the Bank of
2 Canada, and the Bank of England, and the Federal
3 Reserve, and the European Central Bank, because
4 they all missed this. They looked at the supplies
5 side and said: well, these supplies side shortages,
6 China will get back, we will get all the chips we
7 need, we will get our supply chains in order and
8 everything will sort to get back to normal, within
9 a year. It is a short term effect.

10 What I think they ignored was the demand
11 side which is this enormous amount of savings and
12 pent up demand and the power of us as individuals.

13 The fact is we are causing inflation, not
14 so much the supply shocks, it is us. Now, I don't
15 know about you Mr. Legault, but my wife has be
16 going to Paris in July. And she wants to go to
17 Paris, because we haven't been anywhere for two
18 years. So we are going to spend our anniversary in
19 Paris, and we are going to travel around
20 Switzerland, and we are not usual in that, a lot of
21 Canadians are travelling and a lot of Canadians are
22 spending money.

23 So, it is the power of the consumer that is
24 driving inflation at the moment, as much if not
25 more than the bottlenecks. And I do not see...

1 perhaps Tim is going to get it right and we are
2 going to get a soft landing, but my fear at the
3 moment is more chance that inflation will gather
4 speed and sort of get a little bit embedded and the
5 Bank of Canada won't have the courage to put
6 interest rates to where they should be to slow down
7 the economy.

8 So I would suspect over the next three
9 years, inflation is not going to get down to two
10 percent (2%), despite what the Bank of Canada says.
11 So this is where Mr. Ouellet put me to task to say
12 I doubt, but when I say I doubt, it is because I am
13 looking at some of these forecasts and I just see
14 how strong the consumer is.

15 Currently, RBC has a credit card tracker.
16 We collectively are spending thirty percent (30%)
17 more than we did before the pandemic and that is
18 the butt after all of this spending by Canadian
19 consumers and that may be starting to taper off in
20 the face of interest rates, people may start to be
21 a little bit more conservative but I would say
22 there is more possibility of an upside then there
23 is of a downside, i.e. inflation coming down to two
24 percent (2%) rather than having some embedded high
25 rate of inflation for the next three years.

1 Q. [397] I hear you, but my question was in the
2 scenario and it's been, it has been talked about
3 here in Québec, I mean, Gérard Filion, who is a
4 well-known economic commentator at Radio-Canada,
5 mentioned it only last week, that economists in
6 Québec are fearing a stagflation scenario.

7 So my specific question is in a scenario of
8 stagflation: what would you think that the bond
9 yields of Canada, long term bond should be or would
10 be?

11 R. Sorry not to be specific, Mr. Legault, but we do
12 not have stagflation, we have a very strong
13 consumer, we have three point one percent (3.1%)
14 real economic growth at the moment and as strong as
15 the consumer, as long as the consumer keeps
16 spending, it is going to take a lot for the Bank of
17 Canada to slow down the rate of economic growth.

18 So stagflation means basically stagnant
19 economy with inflation. We had that in the nineteen
20 seventies (1970's) into the nineteen eighties
21 (1980's) because of this huge cut, sorry, this huge
22 tax increase imposed on us by OPEC, in terms of oil
23 prices. We do not have that now, we just have an
24 incredibly strong Canadian consumer and we don't
25 have stagflation and I don't think we will have

1 stagflation. We are more likely to have a strong
2 economy growing faster than the underlined real
3 economic growth and a Bank of Canada unwilling to
4 increase interest rates enough to slow that down.

5 So, and that's not stagflation, that's
6 economic growth old fashioned Phillips curve of
7 rapid economic growth and inflation.

8 Q. [398] Okay. Maybe more of a general question but
9 could you tell us about the difference between the
10 inflation that should be taken into account in the
11 rate of return and the one that should be taken
12 into account when looking at the revenue
13 requirement? Are they two different things and what
14 differentiates them?

15 R. They are different. In terms of the revenue
16 requirement, you have to take into account
17 inflation of the costs that Énergir and Gazifère
18 have, which reflect whatever they negotiate in
19 their labour agreements and what they are paying
20 for the commodities, which reflects current
21 inflation.

22 So whereas in the capital markets, capital
23 markets look beyond the current next three months
24 or six months. So particularly in the bond market,
25 as I said, we see the break-even inflation rate,

1 the core underlining inflation rate assumed by bond
2 holders, two percent (2%), not the current
3 inflation rate.

4 But in the revenue requirement, you have to
5 take into account whatever the rate of inflation is
6 or cost increases on the items that go into the
7 revenue requirement, which is not the low run
8 inflation as in the capital market.

9 Q. [399] I'll ask the question anyways. I know you
10 don't believe that there is a situation of
11 stagflation and you don't see one coming in the
12 near future. But in the event that there was
13 stagflation attributable to the current
14 geopolitical situation, and that any economic
15 situation would cause inflation levels above the
16 one to three percent (1-3%) band, can you comment
17 on the relevance of taking this inflation into
18 account in Énergir, Gazifère's and Intragaz rate of
19 return by a premium or a compensation factor?

20 R. Now, I have been doing this since nineteen eighty-
21 five (1985), Mr. Legault, so my memory goes back a
22 long way but when we had stagflation, even I wasn't
23 providing testimony at that stage and it was a
24 period as you correctly stated of stagnant economy,
25 very low growth and significant inflation.

1 The equity markets feed on growth, so with
2 a low growth environment, equities did not perform
3 very well, during the nineteen seventies (1970's).
4 So if we go back in... I have to think of myself in
5 terms of the nineteen seventies (1970's), it will
6 pick-up in terms of the equity required rate of
7 return because equities do not like a lack of real
8 economic growth, they expect to see real growth,
9 inflationary growth fair enough, that is a tradeoff
10 between bonds and equities, but a lack of economic
11 growth is bad for the stock market and the
12 seventies (70's) were bad for the Canadian stock
13 market.

14 It is not an accident that after the Bank
15 of Canada broke inflation in nineteen eighty-one
16 (1981), by very very high interest rates, and as I
17 said, that is when I had mortgage and I was paying
18 over twenty-two, twenty-two-twenty-three percent
19 (22-23%) on my mortgage, my students throw up there
20 hands, they just do not believe it, but that's what
21 I was paying for a third mortgage.

22 We broke the back of inflation and we had a
23 huge boom in the equity markets, ever since. So the
24 equity market likes real growth and likes low
25 inflation, it makes things predictable.

1 So if we get stagflation, I suspect the
2 equity cost will go up quite significantly. And you
3 might even see me recommend more than seven point
4 five percent (7.5%). That's a joke, by the way.

5 Q. **[400]** Looking at the issue of preferred shares in
6 the capital structure. Now, we know and we've heard
7 Dr. Villadsen say that she gets rid of them. She
8 doesn't take them into account because they don't
9 exist. Essentially. They're not there so let's,
10 let's get rid of this in the formula.

11 You maintained them for your own reasons,
12 but, in this debate about preferred shares, how
13 should... when setting the rate of return, how
14 should the deemed income taxes or the fiscal aspect
15 be factored in in the Régie's decision for the
16 three gas utilities?

17 R. So, you're talking about the fact that if you deem
18 preferred shares of five percent (5%), then it
19 basically means that there's a higher income tax
20 component? Is that...

21 Q. **[401]** Yes.

22 R. I view Énergir has having fifty-six percent (56%)
23 of common equity. Because there are no preferred
24 shares. It really is fifty-six (56)... sorry forty-
25 six percent (46%) common equity. And an equity rate

1 of return about eight point two five percent
2 (8.25%). Because that's the average of the eight
3 point nine (8.9) and I think the preferred were
4 deemed at five percent (5%).

5 So, I view Énergir has being forty-six
6 (46%) equity financed. The rating agencies view
7 Énergir has being forty-six (46%) equity financed.
8 And that's a support for the bond rating and it is
9 expensive. Whenever you look a debt versus equity,
10 it's not a comparison of say, I think Dr. Villadsen
11 had a three point two percent (3.2%) A bond yield
12 in her, in some of her equations. And the equity
13 cost say is ten point five percent (10.5%). That's
14 not the comparison. The comparison is, has to be on
15 the same tax basis. And equity at ten point five
16 percent (10.5%) if you gross it up for the tax
17 component it's really costing close to thirteen
18 percent (13%). So, there's a tax penalty to equity
19 that you'll have to take into account.

20 So, that's why you only give equity to a
21 firm that really needs it in order to balance off
22 the business risk. And I'm happy with my forty-six
23 percent (46%) equity recommendation and a
24 continuation of the preferred deemed component.
25 Because I regard Énergir has being risky. And

1 significantly risky. Otherwise, I'd be given,
2 recommend the same thirty-seven percent (37%) as
3 ATCO Gas or the same thirty-six (36%) as Enbridge
4 or the same thirty-eight point five percent (38.5%)
5 as Fortis BC Energy.

6 So, I hear you on the tax component, but
7 you've got of sort of think in terms of what is a
8 fair rate of return, the overall cost, bearing in
9 mind the risk of the utility. And I'm happy with
10 forty-six percent (46%) equity with seven and a
11 half percent (7,5%) deeming. It worked and I think
12 that's the right way, traditionally I've said
13 that's the right way of adjusting for this higher
14 business risk.

15 I don't agree with the extra thirty (30)
16 basis points on the generic ROE because that sort
17 of take in the higher risk of Énergir and Intragaz
18 in two ways. One in the ROE and one in the common
19 equity ratio. And the common equity ratio,
20 basically forty-six (46%) is so large relative to
21 other gas utilities, I think that's more than
22 enough compensation. And that's the same as I've
23 been saying in every hearing, going back at least
24 to two thousand and seven (2007).

25 Q. [402] Thank you, Dr. Booth. No more questions, Mr.

1 Chair.

2 LE PRÉSIDENT :

3 Merci, Monsieur Legault. Madame Falardeau.

4 EXAMINED BY THE FORMATION

5 Mme ESTHER FALARDEAU :

6 Q. [403] Hello, Dr. Booth. I think you answered most
7 of my questions. But just, just so I don't find
8 myself having to decide and wishing you were there.
9 This question of keeping the preferred shares, I'm
10 having a difficult time identifying the advantages
11 and disadvantages. One of the things you said last
12 Friday was you're proposing that we keep the
13 preferred shares in the capital structure because,
14 well if it isn't broken well you said... Why change
15 something that works. If it works, don't change it.

16 So, what I'm understanding today is that
17 you're saying: well Énergir does present or have
18 greater risk so it would be compensated by having
19 preferred shares. So, did I understand correctly?
20 Because to compensate a greater risk... I
21 understand we've been saying there's no business
22 risk and the financial risk is taken into account,
23 you know, with other things. But now you're saying
24 no there is greater risk and, and keeping the
25 preferred shares in the structure is going to

1 compensate that risk. Did I understand that
2 correctly?

3 R. I think generally you got it correctly. The
4 National Energy Board had a very nice quote which
5 said that it understands that deferral accounts
6 reduce the short term risk. The adverse is the
7 actual. But in long run you cannot deny the forces
8 of supply and demand. And, the same thing applies
9 to Énergir. And as I think I mentioned in that
10 presentation when I'd said, years ago that Énergir
11 earn is allowed ROE, the Chairman of the Régie at
12 that time, I'm pretty sure, I can't remember the
13 exact things he said but what he said was to the
14 effect: Yes, but we have to protect the utility.
15 They have lots of deferral accounts in order to
16 make sure that they earn their allowed ROE.

17 So, the real business risk is the extent to
18 which the regulator has to dip into its powers to
19 protect the utility and make sure that the rates
20 are fair. And we saw that, for example, with the
21 National Energy Board in the mainline when it faces
22 this huge drop in the... the throughput on the
23 mainline in two thousand eleven (2011). It relaxed
24 interruptible service. I did thing to allowed the
25 mainline to do things to continue to earn the

1 allowed ROE. More risky utilities may earn the same
2 allowed ROE, but the regulator has to do things in
3 the case of a riskier utility to make sure that
4 happens.

5 So, in the case of Énergir, I always felt
6 that the competitive picture of electricity versus
7 natural gas in Quebec is more tenuous than it is in
8 other provinces. So, there's actually no questions
9 that ATCO Gas, as far as I'm concerned, and
10 Enbridge are very low risk gas utilities. We don't
11 have a lot of competition from electricity in
12 Ontario. In fact, we have... we lost... the
13 previous provincial government lost the election
14 because of high electricity prices in Ontario. So,
15 that's not the situation you have in Québec. And
16 ATCO Gas simply has very little costs in delivering
17 gas in Alberta.

18 So, when you compare Énergir with the other
19 three big utilities, I've no questions whatsoever
20 that the underlining business risk of ATCO, of
21 Énergir is higher than the other utilities. And
22 that is only gonna increase in the future when you
23 get, start getting even more carbon taxes, when the
24 margin of competition between electricity and gas
25 gets lower and smaller.

1 I don't see it is a problem for the next
2 three years, but as the gas carbon tax increases
3 it's going to be a big threat to Énergir. And
4 that's why I would like to see Énergir and Gazifère
5 putting together a proper filing in which they
6 actually specify the forecast demand, they gather
7 demand equation, they specify all of their costs
8 and they illustrate how their rates are gonna have
9 to change and what the margin of competition is
10 over the future test period. So we can actually
11 assess the risk that the utility is facing.

12 But at the moment we don't really have a
13 record apart from this generic: "Oh! There's risks
14 out there", we don't have an assessment of how that
15 risk is gonna affect the utility. Is that answer
16 your question?

17 Q. **[404]** Yes. Thank you very much you were very
18 generous. And just one more question. Then could we
19 apply that same logic to Gazifère and consider that
20 since it's a Québec distributor it's also facing
21 greater risk and therefore should have the similar
22 capital structure to compensate and have preferred
23 shares in its structure to compensate for the
24 greater risk?

25 R. I would like to see Gazifère doing... I'm using the

1 Fortis Energy BC analysis of Énergir in Montreal
2 gas versus electricity and the size of Énergir.
3 Those are sort of definite things that I could hang
4 my analysis on. Gazifère, I just look at it as
5 integrated within Enbridge. It don't get his gas of
6 TQM, it gets it from the same system as Ottawa or
7 other... From the Enbridge system and from
8 TransCanada Northern Ontario line. So, it doesn't
9 have the same problems as Énergir is some areas,
10 but it is primarily residential. And has yet I do
11 not have a clear handle on how that higher
12 regulation from the province of Québec is gonna
13 affect Gazifère. So, and in particular, I've heard
14 a lot about what of the City of Montreal is going
15 to do, I haven't heard a lot, or at least as much
16 on what Gatineau is going to do and exactly whether
17 they're gonna put restrictions on gas in certain
18 areas. So, I can honestly say I'm not as
19 comfortable with Gazifère. Except for the fact
20 that's integrated with... de facto is integrated
21 with Enbridge.

22 But I repeat again, I'm not recommending a
23 thirty-six percent (36%) common equity ratio for
24 Gazifère which I would obviously but the provincial
25 boundaries and these special factors attached to

1 that part of the Enbridge system. But I view it as
2 being part of the Enbridge system.

3 Q. [405] O.K. But you are recommending it for Intragaz
4 since being integrated or almost with Énergir than
5 it's facing similar risks as Énergir is facing?

6 R. That's correct. I actually went back to my
7 testimony for Intragaz. And at that point Intragaz
8 was a relatively new storage and most of the risk
9 attached to the storage occur -- it's operational
10 risk -- it occurs in the first two years of a
11 development of a storage facility. And of that,
12 originally Énergir wanted Intragaz in its rate
13 base. At least that was my understanding.

14 And at that time the Régie said avoidable
15 costs because you can possibly get the same
16 services by other means. Back holding from Dawn and
17 using other vehicles rather than using Intragaz. I
18 basically said well it's sort of like Union
19 storage. Except that Union can sell storage
20 facilities to other pipelines that access its
21 system at Dawn, where is Intragaz is completely
22 integrated with Énergir.

23 So, I would really recommend exactly the
24 same rate of return and financial parameters for,
25 for Intragaz. The only thing different is it got a

1 minority ownership and it got a ten year contract
2 just renewed with Énergir so... On one hand I say
3 there's no risk or very limited risk. On the other
4 hand I say why treat it any differently from any
5 other assets that Énergir has got to provide
6 service to its whole system. And it needs some form
7 of storage to provide seasonal supplies of natural
8 gas.

9 R. Thank you very much, that's all my questions. Thank
10 you.

11 LE PRÉSIDENT :

12 Merci, Madame Falardeau. Il n'y aura pas d'autres
13 questions de la Régie. Alors, Maître Hamelin, est-
14 ce que vous avez d'autres questions pour le docteur
15 Booth?

16 Me PAULE HAMELIN :

17 Est-ce que vous me donner cinq minutes? En fait,
18 peut-être moins que ça, juste pour que je confère
19 avec mes gens.

20 LE PRÉSIDENT :

21 D'accord.

22 Me PAULE HAMELIN :

23 Merci.

24 PAUSE

25

1 Me PAUL HAMELIN:

2 Mister Chairman I will have no further questions

3 for Dr. Booth.

4 LE PRÉSIDENT :

5 Merci. So, Dr. Booth thank you very much for your

6 availability so there will be no further questions

7 for you. So you're done with the Régie for today.

8 R. Thank you. I just wish I could have come to

9 Montréal. Thank you.

10 LE PRÉSIDENT :

11 Thank you very much.

12 Me PAULE HAMELIN :

13 Merci, Dr. Booth.

14 R. Thank you.

15 Me PAULE HAMELIN :

16 Subject to your undertaking, I'll be contacting you

17 on that.

18 R. Okay.

19 LE PRÉSIDENT :

20 Juste deux petits points que je veux vérifier avec

21 vous, Maître Hamelin. Donc vous allez nous déposer

22 la décision D-2020-147 en anglais, sans vos

23 commentaires.

24 Me PAULE HAMELIN :

25 C'est D-2010...

1 LE PRÉSIDENT :

2 C'est deux mille dix (2010)? Oh excusez-moi. Oui
3 oui. Et comme vous venez de mentionner vous avez
4 pris note de l'engagement numéro 5 sur les, pour
5 les feuilles de calcul dans le document du docteur
6 Booth.

7 Me PAULE HAMELIN :

8 Tout à fait.

9 LE PRÉSIDENT :

10 Et on se revoit demain. Ça va être assez pour
11 aujourd'hui je pense. Et on va se revoir demain à
12 neuf heures (9 h) pour la présentation du panel
13 numéro 4 de l'ACIG.

14 Me PAULE HAMELIN :

15 Parfait. Merci.

16 LE PRÉSIDENT :

17 Bonne fin de journée tout le monde. Au revoir.

18 AJOURNEMENT DE L'AUDIENCE

19

20

21 Riopel Gagnon Larose & associés.